

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF ALASKA
REGULATORY COMMISSION OF ALASKA

Before Commissioners: T.W. Patch, Chairman
 Paul P. Lisanskie
 Robert M. Pickett
 Norman Rokeberg
 Janis W. Wilson

REGULATORY COMMISSION OF ALASKA
701 West Eighth Avenue, Suite 300
Anchorage, Alaska

PUBLIC HEARING
Docket No. R-13-002

January 29, 2014
9:33 a.m.

BEFORE ROBERT ROYCE
Administrative Law Judge

1 P R O C E E D I N G S

2 (On record - 9:33 a.m.)

3 ALJ ROYCE: Good morning.

4 It's approximately 9:33 a.m.,
5 Wednesday, January 29th, 2014, in the
6 Commission's hearing room in Anchorage,
7 Alaska. This is the time and place set for a
8 public hearing in the matter of the petition
9 filed by Alaska Environmental Power, LLC to
10 amend 3 AAC 50.750 to 3 AAC 50.820,
11 addressing cogeneration and small power
12 production, given Docket No. R-13-002.

13 I'm Robert Royce, administrative
14 law judge for the Commission presiding. With
15 me on the dais this morning are Commissioners
16 Janis W. Wilson, Paul F. Lisankie, Robert M.
17 Pickett, Norman Rokeberg, and Chairman
18 T.W. Patch.

19 This public hearing was scheduled
20 pursuant to Order No. 1, issued in this
21 proceeding on October 2nd, 2013. Order No. 1
22 invited comments in four areas. Those areas
23 are the avoided cost definition and
24 methodology, integration costs for renewable
25 energy production by small and independent

1 power producers. The third area was
2 curtailment provisions for production by
3 qualifying facilities, and the fourth area
4 was an open bidding process for renewable
5 energy projects.

6 We also required Alaska
7 Environmental Power, who are the petitioners
8 in this case, to provide specific language
9 for its proposed revisions to our
10 regulations, which it did, and those proposed
11 revisions are attached as Appendix A to
12 Alaska Environmental Power's initial comments
13 filed November 18th, 2013.

14 The purpose of this morning's
15 public hearing is to provide an opportunity
16 for commenters to make presentations and
17 summarize their comments. There will also be
18 an opportunity for Commissioners to ask
19 questions.

20 Alaska Environmental Power will
21 make its presentation first, followed by the
22 Alaska Independent Power Producers
23 Association, which is represented by Carolyn
24 Elefant, which I believe is on the phone from
25 Washington, D.C. We'll then hear from Cook

1 Inlet Region, Inc.

2 There's also a sign-up sheet in
3 the back, and I encourage everyone that wants
4 to make comments to sign that sign-up sheet,
5 and I will then, after we get done with the
6 first three presentations, turn to the
7 sign-up sheet. I'll call your name. Please
8 come forward and identify yourself for the
9 record.

10 We're going to generally hear
11 from commenters who are in support of the
12 proposed revisions and then, time permitting,
13 we'll hear from other commenters who have
14 taken contrary positions on the reg.
15 Everybody should be aware that this hearing
16 will be continued on February 4th. Please
17 let me know if there's any scheduling
18 conflicts. We're going to try to accommodate
19 everybody, so we might have to go back and
20 forth, but general order, we're going to hear
21 from supporters and then we'll hear from
22 people with contrary positions.

23 There's also several people
24 listening on the phone today who may want to
25 make comments. We'll -- after we hear from

1 the presenters, I will ask if anybody wants
2 to make presentations on the phone.

3 I know, Ms. Elefant, are you on
4 the line? Do we have --

5 MS. ELEFANT: Yes, I'm sorry for
6 the lag. I took your advice and I went on
7 mute. So I am on the line. Thank you.

8 ALJ ROYCE: Okay. Thank you.
9 And if everybody else that is on the phone,
10 if they can place their phone on mute so we
11 don't hear the background noise, that would
12 be appreciated.

13 So with that, Ms. Clemmer, are
14 you ready to proceed with your presentation?
15 Okay. Please identify yourself for the
16 record and proceed.

17 MS. CLEMMER: Okay. Thank you.
18 My name is Theresa Clemmer. I'm an attorney
19 with Besseney & Van Tuyn. I'm representing
20 Alaska Environmental Power, LLC in this
21 proceeding. We are the petitioners, and we
22 want to thank you for opening this rulemaking
23 docket and for the opportunity to speak today
24 before all the Commissioners.

25 And I'll let Mike Craft introduce

1 himself.

2 MR. CRAFT: Hi, good morning. My
3 name is Mike Craft, and I am the managing
4 partner for Alaska Environmental Power. I'm
5 also 50-percent owner in the business. It's
6 a pleasure to be here, and I appreciate you
7 guys taking the time to allow us to present
8 our case from the table. Thank you.

9 ALJ ROYCE: Thank you, Mr. Craft.

10 Please go ahead, Ms. Clemmer.

11 MS. CLEMMER: Okay. Thank you.

12 All right.

13 I'm going to start with our
14 presentation. This is an overview of what
15 I'm going to be talking about. You in the
16 Order specifically asked for information
17 about the RCA's legal authorities and duties,
18 so I'm going to cover that initially, and
19 then move into the four topics that you just
20 listed that were the subject of our petition:
21 Avoided cost, integration fees, curtailment.
22 We have scaled back the fourth one to
23 oversight and transparency rather than a
24 full-blown competitive bidding proposal. And
25 then finally some additional information

1 about renewable resources in general and then
2 a quick summary.

3 So, legal authorities. As I'm
4 sure the Commissioners are well aware, they
5 have broad authority to do all things
6 necessary and proper to carry out the
7 purposes of regulating utilities. I just
8 wanted to point out a couple of things.

9 One is that the regulation of
10 rates is only one aspect of it. There's a
11 much broader authority there to regulate the
12 practices and services and all kinds of
13 activities of public utilities. So I think
14 there's plenty of authority to modify these
15 regulations.

16 The RCA also has guidance from
17 the Legislature directing them to promote the
18 conservation of resources used in the
19 generation of electric energy. What that
20 really means is conserving fossil fuels --
21 reducing reliance on fossil fuels and
22 promoting renewable energies, which is why
23 we're here today.

24 So the Regulatory Commission is
25 also guided by federal law. This is the

1 PURPA Section 210, which is the statute
2 setting out some requirements for state
3 utility commissions around the country
4 relating to the relationship between
5 utilities and this group of qualifying
6 facilities, which are defined to be small,
7 renewable energy producers and cogeneration
8 facilities.

9 Section 210 of PURPA is designed
10 to promote development of alternative energy
11 resources by overcoming the historical
12 reluctance of electric utilities to purchase
13 power from nontraditional facilities. So
14 there's a lot packed in there. That's a
15 quote from the U.S. Supreme Court
16 interpreting PURPA shortly after it was
17 enacted.

18 One thing is the focus on
19 alternative energy resources, but also
20 recognizing that those alternative energy
21 resources, the primary drivers of that
22 development around the country have been
23 independent power producers.

24 Recent data from 2012 show that
25 about 83 percent of wind power, for instance,

1 around the country has been developed by
2 independent power producers, and the
3 remaining 17 percent is a combination of
4 utilities, cities, universities, and that
5 kind of thing. So really the lion's share of
6 wind development around the country has been
7 independent power producers. So that's what
8 Congress recognized over 30 years ago, and it
9 has borne out to be true today.

10 Congress also directs FERC --
11 this is part of the strategy. Congress
12 directs FERC to promulgate rules requiring
13 utilities to operate or purchase electricity
14 from qualifying cogeneration and small power
15 production facilities. So this is a mandate
16 for FERC to develop some regulations defining
17 how that relationship is going to work.

18 One of the key principles of that
19 is nondiscrimination, and that's a key theme
20 of our presentation today, is that the rates
21 for those purchases from these small
22 qualifying facilities are supposed to be
23 nondiscriminatory.

24 All right. Moving on. So the
25 predecessor to the RCA, the APUC, back in

1 1982 adopted regulations, which are what we
2 have today in Part 50, Article 2. The
3 purpose mirrors the PURPA statute and the
4 FERC regulations, which is to encourage
5 cogeneration and small power production, and
6 incorporates this language about
7 nondiscrimination and reasonable rates and
8 terms and conditions.

9 So this reflects the fact that
10 the Commission has the authority to act in
11 this area, and also has guidance from
12 Congress and from FERC in some of the
13 obligations that it needs to fulfill. In
14 addition to the federal laws and the general,
15 broad State authority for the Commission, the
16 Legislature in 2010 really made a concerted
17 effort to develop a State energy policy.

18 They adopted this into
19 legislation, and so it created -- and this
20 was a major effort. It wasn't something they
21 did, you know, within a couple days. The
22 legislators traveled around the state. They
23 held nine public hearings. You know, this
24 was a big deal at the time, as some of you
25 probably remember.

1 A lot of the emphasis was on
2 encouraging economic development by promoting
3 renewable energy and alternative energy
4 resources. Also, you can see here at the
5 bottom there was a focus on thinking about
6 and setting out guidelines for the regulatory
7 processes that encourage private sector
8 development of the state's energy resources.
9 So the Legislature really was intending to
10 provide guidance to agencies in carrying out
11 their vision of an Alaska state energy
12 policy.

13 At the same time, as part of
14 HB 306, the Energy Policy Act, the
15 Legislature adopted a statement of
16 legislative intent indicating that its
17 renewable energy goal was going to be
18 50 percent by 2025, but it wanted the state
19 to make every effort to become a leader in
20 renewable alternative energy development.
21 This was meant to be guidance for the
22 agencies, again, to guide them in how they
23 carry out their work. All right.

24 So I'm emphasizing this a bit,
25 because there's a lot of discussion in the

1 briefing about the regulatory policies not
2 particularly being applicable to this
3 proceeding or really just being verbiage that
4 doesn't carry a lot of weight, but I think
5 that it's contrary to what people thought at
6 the time they were adopting HB 306.

7 This is Bill Popp of the
8 Anchorage Economic Development Corporation
9 explaining that this really was meant to be
10 an overarching energy policy that brings all
11 the executive branch agencies and the
12 Legislature in terms of its funding
13 priorities all on the same page in terms of
14 where the direction of the State should be
15 headed. Then, again, during an exchange
16 during the testimony in public hearings -- or
17 in the Legislative hearings, they described
18 this 50 percent by 2025 goal as a measuring
19 stick for the regulatory agencies, and
20 particularly the ones that have to do with
21 energy and energy policy.

22 Then more recently the 50 percent
23 by 2025 goal comes up all the time, and the
24 leaders of the state have been referring to
25 it and have been guided by it. I keep

1 emphasizing that it's a commitment that the
2 State has set, and that it's determined to
3 meet. So it's not something that was just
4 written on the back of a napkin and
5 forgotten. This is something that really is
6 considered the policy of the State of Alaska.

7 ALJ ROYCE: Excuse me. Can you
8 mute your phone? We can hear your
9 conversation, whoever is talking on the
10 phone. Sorry.

11 Please proceed.

12 MS. CLEMMER: That's okay. Okay.

13 And most recently, this was back
14 in November, Senator McGuire emphasized again
15 the 50 percent goal, and also noted that
16 there are barriers that discourage investment
17 in these resources and are holding us back
18 from achieving these goals. I think that was
19 in part referring to regulatory changes that
20 need to be made to open up the gates a little
21 wider to independent power producers. Okay.

22 So moving on to avoided cost,
23 we're going to dive a little deeper into the
24 actual requirements of PURPA and the FERC
25 regulations. As a starting point, as we were

1 just talking about, Congress set out this
2 goal that utilities would have an obligation
3 to purchase power from this defined group of
4 small power producers and that there was this
5 nondiscrimination principle, but it left it
6 up to FERC to decide exactly how to implement
7 that law.

8 Congress did also define that the
9 term incremental avoided cost would be kind
10 of the guideline for the price for that power
11 that they would purchase, but then it left
12 FERC to further define that and to develop
13 regulations implementing the rule.

14 Another aspect of the statute is
15 that the regulatory authorities shall
16 implement the FERC rules, so this is an
17 obligation there for each state regulatory
18 commission around the country to implement
19 the FERC rules.

20 And what FERC did, it considered
21 a variety of different ways of approaching
22 the avoided cost issue, and decided after
23 much deliberation to set it at a level that
24 equals the avoided cost rate unless the
25 parties mutually agree otherwise. The idea

1 was that the overarching goal of the
2 legislation was not to just save a few
3 pennies in the short term in terms of energy;
4 it was to get a nascent industry off the
5 ground, and it really wanted to incentivize
6 renewable energy development by independent
7 power producers.

8 So it wanted to give them the
9 best price that it could without harming
10 consumers. So it maximized the incremental
11 avoided cost, which is the rate that's cost
12 neutral. You know, if renewable energy is
13 coming in and displacing other forms of
14 power, if it can be done in a way that
15 doesn't harm consumers, then in order to
16 incentivize those independent power
17 producers, FERC decided it's going to give
18 them as much as it could. There are a lot of
19 public benefits that Congress had in mind in
20 terms of diversifying energy for purposes of
21 energy security and reducing reliance on the
22 volatile fossil fuel market with the
23 increasing prices and unpredictable pricing.

24 Congress saw a lot of value in
25 renewable energy for a lot of reasons other

1 than just saving a few pennies, although
2 often renewable energy can be cost saving as
3 well. So we have incremental costs as the
4 touchstone in both the PURPA statute and in
5 the FERC regulations.

6 So I maybe am oversimplifying
7 slightly, but I'm responding to a lot of the
8 briefing that is emphasizing how complex this
9 is and how overwhelmingly complicated this is
10 and how, you know, this is going to take a
11 long time to figure out and might be
12 impossible to do. I just want to say as a
13 starting point that it's really not that
14 complicated.

15 We're talking about incremental
16 avoided cost versus system average avoided
17 cost. In terms of regulatory change, it's
18 just a few words that can accomplish that
19 change. Also, the principle of incremental
20 cost is really not that difficult to
21 understand.

22 We're talking about the
23 displacement of the highest cost increment of
24 the utility's power rather than averaging all
25 of the costs across the whole utility's

1 portfolio to come up with an average price.
2 So this is -- this was in the preamble to
3 FERC's regulations when it was first adopting
4 them.

5 It considered this issue of,
6 well, what about system average costs? And
7 from the very outset said system average
8 costs would not be allowed, but incremental
9 cost meant something different, and that
10 system average cost would not be an adequate
11 way to implement this law. Then since then
12 we've had the Ninth Circuit and other courts
13 repeatedly emphasize that QFs are entitled to
14 receive the full avoided cost rate at least
15 as a starting point for negotiations. If
16 they want to trade off other benefits, that's
17 up to them, but they're entitled to at least
18 as a starting point get the full avoided cost
19 rate.

20 All right. There's another
21 aspect of avoided cost that I want to point
22 out in addition to just the definition of
23 incremental versus system average. There's a
24 provision that's entirely missing from the
25 regulations that the APUC adopted 30-some odd

1 years ago.

2 That provision states that QFs
3 shall have the option to sell power on an
4 as-available basis, which means on any given
5 day if they want to sell power, they can
6 operate to the utility, and the utility would
7 have an obligation to purchase it with a
8 price to be determined on the incremental
9 cost that day, or the QFs would have an
10 option to purchase the power through either
11 contract or a legally enforceable obligation,
12 which is a term of art and is considered by
13 the courts and by FERC to be something
14 different, which I'll talk about in just a
15 minute.

16 But then, again, it gives QFs the
17 option of, if you're going to enter into a
18 contract or some kind of long-term
19 obligation, you have the choice of having
20 your avoided cost pricing set at the outset
21 based on a projection of what the avoided
22 costs are going to be, or you could go with a
23 daily fluctuating avoided cost rate. But I
24 just want to note that three times in this
25 regulation it refers to the option of the QF.

1 In the case law it makes it very
2 clear that the purpose of having the term
3 "legally enforceable obligation" in there
4 instead of something like contract or
5 agreement, is that if there is a situation
6 where the utility and the QF cannot reach
7 agreement and they've negotiated and they
8 can't figure it out, the default position is
9 that the project can go forward and that the
10 utility cannot act as a roadblock.

11 So if the QF is willing to commit
12 itself to a set of terms and move forward,
13 then the utility would have an obligation to
14 purchase. That's not how it's worked in
15 Alaska, and it has not been in the
16 regulations until now, but it is a provision
17 that is required to be in there. The various
18 decisions that I've seen -- there have been
19 enforcement actions by FERC against state
20 commissions that either don't have this
21 provision or are not implementing it or
22 enforcing it. So this is an important gap, I
23 think, that we could remedy in this
24 proceeding.

25 I've already emphasized the

1 nondiscrimination provision. The way that
2 applies in Alaska is that another aspect of
3 avoided cost is that the FERC regulations set
4 out a set of factors that are used to
5 determine what the avoided cost rate is going
6 to be. There's a whole list of them. The
7 State has adopted most of them in a slightly
8 varied form, but more or less they're mostly
9 in there, but in Alaska they're only applied
10 to firm power. They are not applied to
11 nonfirm power. That's a distinction that is
12 not made in the FERC regulations.

13 Because of this overriding
14 nondiscrimination principle, that distinction
15 between firm and nonfirm power and the
16 application of the factors to one group of
17 QFs and not to another group of QFs seems to
18 violate that nondiscrimination principle. So
19 that is something that we'd like to see
20 remedied.

21 There's been some discussion back
22 and forth about whether the particular
23 factors that we proposed are not verbatim the
24 same as FERC's, but neither are the current
25 ones, and there is some wiggle room in there.

1 The FERC regulations in terms of the factors
2 are supposed to be implemented to the extent
3 practicable. It shall be implemented to the
4 extent practicable.

5 So, in general, the factors are
6 supposed to be applied, but there's some
7 wiggle room for states to vary them. But we
8 believe that our wording variations are minor
9 differences. If the Commission were to adopt
10 the FERC factors verbatim and apply them
11 uniformly to both firm and nonfirm power,
12 that would certainly be consistent with
13 federal law. So, you know, we wouldn't fall
14 on our swords over a few word changes that we
15 thought might enhance them a little bit.

16 So the counterarguments as to why
17 the avoided cost definition shouldn't be
18 changed and some of these other avoided cost
19 changes shouldn't be made. This is what --
20 you know, I'm just trying to distill from the
21 briefs what the arguments were.

22 The first one is that the two
23 definitions are really the same. They're
24 equivalent; they mean the same thing. That
25 argument appeared in multiple briefs, and it

1 just is surprising to say that the system
2 average approach is really the same thing as
3 the incremental approach, when from the very
4 beginning FERC said the incremental approach
5 is what you're supposed to use. The system
6 average approach is different and is not what
7 you're supposed to be using. So I just think
8 that's pretty plain on its face, and that
9 argument doesn't really go anywhere.

10 The second kind of related
11 argument is that incremental avoided costs
12 would lead to the same or similar results.
13 This is the argument that the system average
14 approach is a workable proxy for the
15 incremental approach. There's really --
16 these are just kind of bare statements. I
17 haven't seen any evidence to support the
18 claim that the calculations would actually
19 come out the same. These same exact
20 arguments were the reason why the temporary
21 departure was chosen back in 1982.

22 So the idea behind this temporary
23 departure was that this would just be an easy
24 way to do it at first, and then eventually
25 we're going to go move toward the requirement

1 incremental approach, but it just doesn't
2 make any sense now to say that the approach
3 should remain the same when it was never
4 really supposed to be that way in the first
5 place, and it's just common sense that the
6 incremental approach is going to be different
7 than a system average approach.

8 So we have common sense on the
9 one hand. We only have one example.
10 Obviously AEP has been in negotiations with
11 Golden Valley, so this is our experience and
12 these are the examples we have to draw upon.
13 But this is a comparison of system average
14 rates. These are the RCA-approved QF 2 rates
15 for the last several fall, winter, and spring
16 quarters, which those are the three quarters
17 that are really relevant for wind power.
18 That's when the bulk of the power is
19 produced.

20 So we're looking at rates under
21 the system average approach in the range of
22 11 to 13 cents a kilowatt hour. That may
23 seem high to people used to other areas of
24 the grid, but those are low compared to
25 Golden Valley's highest rates. They're

1 brought down in that averaging process by the
2 cheaper power that's available from these
3 plants that were built back in the 1950s and
4 1960s.

5 So in contrast to that we have
6 the fall, winter, and spring quarter fuel
7 costs. This is taken from the fuel and
8 purchase power submissions to the RCA that
9 Golden Valley makes each quarter. We're
10 looking at a lot higher prices, because the
11 cost -- primarily because of the cost of
12 diesel. So you can see the Fairbanks and
13 Delta plants are extremely high, just off the
14 charts. It's true that they don't account
15 for a huge percentage of Golden Valley's
16 overall costs, but the number is about
17 3 percent of their overall fuel and purchase
18 power costs. Because the numbers are so
19 high, they do have an impact on the overall
20 rates.

21 The second column ranges from
22 somewhere around in the 20s to all the way as
23 high as 66 cents a kilowatt hour, and that's
24 a higher percentage. That's about 16 percent
25 of Golden Valley's overall fuel and purchase

1 power costs. Then at the North Pole
2 expansion facility we're talking 16, 17 cents
3 a kilowatt hour. That's responsible for
4 about 39 percent of Golden Valley's fuel and
5 purchase power costs.

6 So together -- just make sure I'm
7 doing my math right -- that is about
8 58 percent of Golden Valley's fuel and
9 purchase power costs. So these are the
10 highest cost facilities. These are the types
11 of things that would be displaced, maybe not
12 entirely, but at least you could reduce your
13 reliance on these sources by using the wind
14 power project by my client or other renewable
15 projects that came forward. So this is
16 really just to illustrate the difference
17 between a system average approach and what
18 could potentially be the pricing range for an
19 incremental avoided cost rate.

20 Another argument that was made
21 particularly in the opening briefs, but I
22 didn't see in the reply briefs, was that the
23 QFs should not need to worry about changing
24 the language of the regulations because
25 there's this caveat in there that the

1 Commission can always order something
2 otherwise. But essentially that is putting
3 the burden on the QFs to demonstrate on a
4 case-by-case basis that incremental costs
5 would be appropriate in a particular
6 situation and wouldn't be too burdensome, and
7 they can request that the Commission require
8 that methodology.

9 That just legally has already
10 been decided. That approach was rejected
11 because it would be time consuming and it
12 would be discouraging to the development of
13 QF power, which is contrary to the purpose of
14 PURPA. Also, in addition to the fact that
15 the law is clear on this point, it's just a
16 matter of fundamental fairness that QFs
17 shouldn't have to fight for what they're
18 already legally entitled to. That should be
19 what the law says, and that should be the
20 starting point, and deviations from that are
21 what the Commission could be approached
22 about.

23 Another argument that I saw was
24 that the judgment of utility management is
25 vast, and there's no real need for revised

1 regulations; essentially kind of a just trust
2 us argument. Of course that's true that
3 there are instances in which utilities and
4 QFs can work very well together and very
5 cooperatively, and there have been successful
6 stories in that regard. But the law
7 recognizes that that's not always the case,
8 that the whole purpose of the law was to
9 overcome this historical reluctance of
10 utilities to let go of control over
11 generation in their utility systems.

12 It remains a substantial problem
13 in Alaska. We rank last out of all 50 states
14 in IPP generation. We're only about
15 3 percent IPP generation compared to the
16 national average, which is 39 percent. So it
17 shows that there is a need for a framework
18 to -- in which the utilities and the QFs are
19 negotiating that sets the ground rules and
20 ensures that things are fair and that the
21 goals of the law are going to be achieved.

22 Argument 5, and this probably was
23 the most emphasized argument in the briefs,
24 is that calculating it would just be too
25 difficult and burdensome. It's just an

1 impossible task, was essentially the
2 take-home point.

3 I think there's a couple problems
4 with that argument. One is it's required.
5 Even if it's challenging, the RCA has this
6 obligation to use the incremental avoided
7 cost standard. The implementation
8 considerations are important, but they do not
9 give the RCA the ability to just ignore what
10 Congress has said and what FERC has said. So
11 that's one reason.

12 But even if they could, even if
13 the RCA did not have to incorporate this
14 incremental cost standard, the utilities seem
15 to be exaggerating the difficulties
16 associated with incremental avoided cost
17 calculations. First of all, they're
18 routinely perform throughout the country.
19 Everywhere else people seem to be able to do
20 it, and there are several models available.
21 We don't think it's necessary in this
22 proceeding to get into the particular
23 technical details of the models, but they're
24 available, and there's a lot of learning that
25 could be done after the standard is

1 established.

2 Another issue is that this would
3 have to be done. If the QFs were to choose
4 the as-available approach, that they would
5 have to do this on a daily basis, and it
6 would be very time consuming and burdensome.
7 But because these QFs are dealing with banks
8 and they're trying to get long-term contracts
9 and they're trying to get financing, they're
10 almost always going to want more certainty
11 than daily pricing. They're going to want
12 long-term, fixed rates based on a projection
13 of what the incremental costs are going to
14 be.

15 So it's really just not very
16 likely that you're ever, or maybe once in a
17 great while ever going to have to do avoided
18 cost pricing on a daily basis or on an
19 as-available basis.

20 It was also suggested that it
21 would be tricky even to try to do incremental
22 avoided cost pricing on a quarterly basis the
23 way system average pricing is done typically
24 now, but there are ways that that can be
25 addressed too for these small 100 kilowatt or

1 smaller projects. If you're doing standard
2 offer pricing, you could go to annual
3 updates. You could do projects and update
4 them less frequently. There are probably
5 other mechanisms that could be done to make
6 this feasible.

7 Another reason the feasibility
8 issue seems to be overblown is that that
9 argument may have really been true back in
10 the 1980s when this law was first up for
11 consideration, but we are now in 2014, a
12 third of a century later. Technology has
13 come a long way, and the utilities have often
14 touted this, that they have SCADA systems and
15 they have computer systems and they can do
16 economic dispatching. So the world is just
17 very different than it was in 1980. So we
18 think it's a challenge that can be met and
19 the law requires it.

20 So, technical workshops. That's
21 another -- in the same vein of arguing that
22 it's very difficult and very challenging and
23 complex, the utilities are arguing that we
24 need to do technical workshops before making
25 any regulatory revisions. We see this as a

1 form of delay and that's really not
2 necessary.

3 What we're asking for is some
4 regulatory changes. We want to incorporate
5 the federal incremental avoided cost
6 standard. We want to ensure an QF's right to
7 choose avoided costs and also to have the
8 final say about whether their project can go
9 forward under this LEO. We want the factors
10 to be applied in a uniform fashion and
11 nondiscriminatory fashion to both firm and
12 nonfirm power. Those things are all
13 regulatory language changes that can be done
14 in a very straightforward way by adopting
15 what FERC regulations say, that we don't need
16 to have workshops to be able to do that.

17 So we think regulation now and
18 then implementation later, which can be done
19 through orders; it can be done through tariff
20 proceedings. It may give an opportunity for
21 the Commission and the utilities to spend
22 some time working on this and developing this
23 and learning about this, and the approaches
24 could evolve over time, and they could be
25 tailored to specific circumstances. So it

1 may not be wise to try to jam all that into
2 this proceeding.

3 Okay. So we're done with avoided
4 cost. Integration fees. This is the second
5 component of our petition. We think and have
6 seen that integration fees can be an area
7 where there's a lot of dispute, a lot of
8 contention, and it presents one of the areas
9 where there's the most risk of discriminatory
10 practices.

11 These are some excerpts from
12 NREL, who has looked closely at a lot of
13 these issues. Their conclusion has been that
14 integration costs, you know, are something
15 that's difficult to wrap your head around.
16 There are challenges in calculating them.
17 But even if you can calculate them, a big
18 question is: How do you apply them fairly to
19 these wind and solar and renewable facilities
20 when there are integration costs associated
21 with pretty much every generation facility on
22 a system? They have some form of integration
23 cost. The utilities normally just absorb
24 those costs and treat them as overhead, and
25 they don't allocate them out separately to

1 each facility.

2 So when they start this task of
3 allocating them to wind or any other kind of
4 facility, there's a tendency to throw a lot
5 in that bucket, and to maybe allocate some
6 things to wind that really should be shared
7 or should continue to be shared among the
8 whole system. So NREL cautioned that if
9 you're going to impose integration fees on
10 renewable energy, you should be very careful
11 to ensure that it's not discriminatory.

12 So this is just a graphic that
13 came from that NREL report. It's discussed
14 at length in our brief, so I won't go in
15 great detail. But I just want to emphasize,
16 the point here is that this issue of
17 utilities exaggerating integration fees and
18 imposing integration fees that are too high,
19 or at least demanding them in the course of
20 negotiations, which may be enough to kill a
21 project, is such a widespread problem that
22 NREL felt that it was important to do a
23 survey of the entire western grid and develop
24 this 250-page report analyzing the issue of
25 whether fuel cost savings that you get from

1 renewables are the same as, less than, more
2 than, than the cycling costs, which are one
3 of the biggest components of integration
4 costs. That's the cost of ramping facilities
5 up and down more than you would normally have
6 to to provide the backup power for wind and
7 solar or other nonfirm sources.

8 So cycling costs is one of -- and
9 particularly in Alaska it's one of the
10 biggest sources of integration costs, because
11 you're not likely to shut off firm power
12 entirely; you're likely to just ramp it down.
13 You'll get fuel savings from ramping it down,
14 but to the extent you have to bring it up and
15 down, there's some efficiency losses there.

16 But what NREL found by looking at
17 all of these facilities all over the western
18 part of the country was that the fuel savings
19 are overwhelmingly greater than the cycling
20 costs, by orders of several magnitudes. So
21 this claim that the cycling costs are somehow
22 going to negate the fuel savings just turns
23 out, when you actually look at the data, not
24 to be true. But it doesn't stop utilities
25 from making that argument repeatedly. That's

1 the point. That's why we need the change in
2 the standards, is to make things more clear
3 so that these debates cannot have to go on in
4 such a protracted fashion.

5 One example, again, this is
6 Golden Valley. I don't mean to beat up on
7 them, but it's just our experience has been
8 in fees negotiations with Golden Valley. We
9 looked at their SRF filings for 2012 and
10 2013. They listed what appear to be all the
11 costs associated with Eva Creek, but did not
12 allocate integration costs. So as far as we
13 can see, they're allocating zero dollars in
14 integration costs to Eva Creek, and at the
15 same time they're asking AEP to pay 7.7 cents
16 or 6.9 cents in the fall and winter, which
17 again are some of the periods when wind power
18 is producing the bulk of its power.

19 So that seems on its face to be
20 somewhat discriminatory. It would be helpful
21 to have a better accounting of what they're
22 charging themselves and what their actual
23 costs are in order to determine whether the
24 costs that they're asking us to pay, or my
25 client to pay, are fair and

1 nondiscriminatory. But just as a point of
2 reference, the Fire Island wind facility is
3 paying about 1.1 cents a kilowatt hour. So
4 those numbers are very high for integration
5 fees. Okay.

6 Contrary to the idea that we just
7 talked about that the burden should be on the
8 QF to ask the Commission to use this
9 incremental approach, we think the utilities
10 really should bear the burden of justifying
11 the integration fees if they want to impose
12 them for several reasons.

13 First is just the basic
14 nondiscrimination requirement. That's a duty
15 of the utility, is to be nondiscriminatory.
16 The burden shouldn't be on the QF to prove
17 that they're being discriminated against.
18 It's the utility's obligation not to
19 discriminate. So they should have the burden
20 of proving that.

21 We've already talked about the
22 risk. Because integration costs are kind of
23 a judgment call more than a technical
24 challenge, it's really a judgment challenge
25 of what to allocate where, there's a risk of

1 discriminatory allocation.

2 Another reason that the burden
3 should be on the utility for justifying these
4 fees is that there's no explicit FERC
5 authorization for integration fees and none
6 in the current RCA regulations either. There
7 is -- by contrast, for incremental costs,
8 there's a delineation of incremental costs
9 and how they should be calculated and there
10 are criteria. There's nothing for
11 integration costs.

12 So the reason that FERC and
13 states have been allowing these fees to be
14 deducted is the utilities have been arguing
15 that if you don't deduct for them, then
16 you're really charging them more than the
17 true incremental avoided costs. So in order
18 to get to the true incremental costs, you
19 have to deduct integration fees.

20 That may very well be true, but
21 what we're saying is the utilities should be
22 called upon to document that and to provide
23 the data and the evidence that they're
24 relying on to come up with these numbers and
25 to be the ones to demonstrate why they think

1 they're fair and why they affect the
2 incremental avoided cost.

3 Since the overarching purpose of
4 PURPA is to encourage cogeneration, again, it
5 wouldn't be consistent with that to put the
6 burden on the QFs. It really should be on
7 utilities who are the subject of this law and
8 who are the ones who the obligations are
9 imposed on.

10 So we have come up with six
11 criteria that we think are fairly
12 straightforward and draw upon existing law.
13 First is the nondiscrimination principle,
14 which is pretty well established.

15 The second one for integration
16 fees is that they could legitimately include
17 costs reasonably necessary for safety,
18 integrity, reliability, but then we want to
19 rein that in somewhat with limitations.
20 These are drawn from the types of fairness
21 and reasonableness requirements that apply to
22 interconnection costs; directly related to
23 and necessary for the operation of the QF in
24 excess of the corresponding costs the utility
25 otherwise would incur, not duplicative of

1 costs used for reasons other than integration
2 of the QF, these should all really fall under
3 the umbrella of just being fair and
4 reasonable and nondiscriminatory.

5 Then No. 3 is similar. If you
6 have one -- let's say you have one plant that
7 is providing backup or standby power for more
8 than one QF or for a QF and for a large
9 generation source as reserve capacity or
10 something, if you have that kind of a
11 situation, we think the QF shouldn't be
12 required to pay for it all. It should be
13 subject to some kind of equitable allocation.
14 So that's what that third criteria is getting
15 at, is that if there are some efficiencies in
16 being able to rely on one power source to
17 back up multiple sources, then you should
18 allocate them.

19 Similarly, no double counting.
20 There are multiple calculations going on
21 here. We have avoided costs. We have
22 integration costs. We have interconnection
23 costs. So some of the factors and criteria
24 for each one are related to each other, and
25 we could enter a situation where you're using

1 the same figures and determining avoided
2 costs and then that number gets calculated
3 again in integration fees. So I think a
4 criteria that you could apply to determine
5 whether something's fair is to try to weed
6 out those instances where there might be
7 double counting.

8 The fifth one, this is based on
9 some of the literature relating to renewable
10 energy, that you don't want to create this
11 kind of unfortunate incentive for utilities
12 to sit back and do nothing and not take
13 advantage of opportunities to reduce the
14 integration fees that they could be charging.
15 If there are things that they can do at a
16 reasonable cost, like improving their
17 dispatching procedures or putting a little
18 work into wind forecasting or whatever, we're
19 not talking about major capital enterprises.
20 We're just talking about reasonable things
21 that the utility could do to make sure that
22 it's not overcharging for integration fees
23 when it doesn't have to. That's what No. 5
24 is getting at.

25 And then No. 6 is just not

1 subsidizing the facility's other operations
2 and facilities. You know, that would be
3 completely contrary to the purpose of PURPA,
4 which is to give the maximum incentive for
5 this new and emerging industry and to give
6 them the best price that you can. So asking
7 them to pay for the utility's other resources
8 would not be fair.

9 Okay. Moving on to curtailment.
10 This is kind of a narrower issue. There's
11 particular language in the FERC regulations.
12 It's been more or less adopted into the state
13 regulations. That's the language in the
14 state regulations right there. It is not
15 very well drafted. It's not all that clear
16 on its face what it means, but that doesn't
17 mean that it's open to interpretation.

18 The meaning is well established
19 if you look at the FERC preamble to the order
20 when it was adopting the regulation in the
21 first place, and then every case in federal
22 courts and in FERC interpreting that language
23 since then have all said the same thing.
24 That's that it was meant to protect QFs from
25 rare situations involving the potential for

1 negative avoided costs.

2 So the idea is when you're doing
3 as-available pricing on a daily basis, you
4 could have a low load scenario where the
5 QF would go, uh-oh, if we provide you power
6 today, we're going to have negative avoided
7 costs, and we're going to have to pay you for
8 taking our power. So that anomaly was a
9 situation that was meant to be addressed by
10 this (b)(1) exception.

11 So the case law has made it very
12 clear, because a lot of utilities
13 misinterpret this regulation. It's actually
14 a pretty common problem. But it does not
15 justify unilateral curtailment by utilities
16 for economic reasons in terms of the utility
17 possibly losing money. The idea is to
18 protect the QF from losing money, or outside
19 the context of realtime incremental avoided
20 cost pricing.

21 This thing was never intended to
22 apply when you're projecting incremental
23 avoided cost over a long period of time in a
24 fixed-rate contract or in some kind of annual
25 rate setting or quarterly rate setting. It

1 was only meant to be used when you could have
2 these real short-term fluctuations that could
3 cause problems for QFs.

4 So the debate in the briefs has
5 been, well, our language is the same as the
6 feds'. Why do we need to change anything?
7 Why do we need any clarification of this?
8 We're doing fine. So we have an example here
9 in Alaska of the misinterpretation of this
10 regulation leading to problems for a
11 QF that's trying to get a project going and
12 trying to get a power purchase agreement. In
13 our negotiations with Golden Valley, they
14 included language in a long-term contract
15 that was contemplating either a long-term,
16 fixed-rate pricing scheme or a variable
17 scheme based on the quarterly prices that are
18 set by the RCA, but never at any point were
19 we talking about a daily or as-available
20 pricing situation. So (b)(1) shouldn't have
21 been applicable at all in that situation.

22 In the briefs filed by the Alaska
23 Power Association and ML&P, they have agreed
24 with us, and they are interpreting the
25 language the same way and have said that this

1 language is just not allowed to be in a
2 long-term contract. But Golden Valley
3 apparently, like other utilities around the
4 country, misinterpreted the language and
5 insisted on having it in there. We tried to
6 get them to delete it; they wouldn't do it.
7 They also included that same language that is
8 very clearly not allowed in their proposed
9 standard QF agreement that would have applied
10 to all QFs that come to them and try to enter
11 a power purchase agreement.

12 Another roadblock that we ran
13 into was that we tried to get some guidance
14 quickly through this informal complaint
15 process that the RCA has. We were just
16 asking for some simple advice to Golden
17 Valley that this provision was unlawful and
18 that they should take it out of their
19 proposed contract. But the section
20 apparently was uninformed about the actual
21 meaning of Section (b)(1), and they told us
22 that they found no violation of applicable
23 law, even though it's pretty well established
24 that this (b)(1) is not meant to be used the
25 way they were using it. We've never heard

1 anything otherwise, but Golden Valley is now
2 of the mind that that provision was not
3 really allowable.

4 But the biggest reason is that
5 this has a chilling effect. The possibility
6 that utilities can impose this kind of
7 language on AEP or on other QFs and that they
8 would really have to go to the mat and file a
9 formal adjudication and go through appeals
10 and litigation and all of that delay and cost
11 scares people away and it scares projects
12 away, and it takes things off the drawing
13 board before they even get there.

14 In particular, this is a
15 provision that would allow a utility whenever
16 it in its own judgment decided it had
17 economic reasons that it wanted to curtail
18 your power, it could shut your power off and
19 you would not have your only customer.
20 Essentially that's the import of this
21 provision, is that -- so the problem there is
22 that a bank is never going to finance
23 something when there is no certainty about
24 this obligation to purchase the power under
25 the contract even. You have a long-term

1 contract, and even under the contract they
2 could shut you off whenever they want. So
3 this is a serious problem for getting
4 projects going.

5 So this is our proposal. We're
6 just drawing it straight from the FERC
7 decisions. You can only use (b)(1) if you're
8 in a realtime situation and you have this
9 negative avoided cost problem. Then
10 conversely (b)(1) shouldn't be incorporated
11 into a long-term contract where avoided costs
12 are not being determined in realtime. So
13 we're just tracking what FERC has said and
14 what FERC decisions are. I've seen other
15 proposals for a shorter statement of
16 clarification that might do the trick also,
17 but I think some clarification is warranted.

18 Moving on to the next topic.
19 This is the last of our four topics in our
20 petition, as I mentioned and I think it's
21 pretty clear. I think nobody -- after
22 looking at it more closely and doing some
23 research, nobody really thinks that Alaska is
24 ready for competitive bidding or that it
25 would even be a good idea in this kind of a

1 market.

2 But some of the things that first
3 attracted us to the idea of doing competitive
4 bidding was that these laws on the books and
5 the regulatory standards don't mean a whole
6 lot if you're out there with these very
7 powerful utilities trying to engage in
8 negotiations, and they have access to the
9 transmission and the distribution and they
10 have much greater financial resources and
11 they really just don't want the new kid on
12 the block to come to their park, it's just --
13 it's really hard to make these regulatory
14 standard work if there aren't good mechanisms
15 for oversight and transparency and
16 implementation.

17 So we're hoping to get those
18 kinds of procedures established so that this
19 all runs more smoothly for everyone. Some of
20 the reasons that the oversight and
21 transparency are needed are the
22 long-recognized historical reluctance of
23 utilities to open up their transmission
24 systems to new players and new projects that
25 would be run by independent producers.

1 There's also a well-recognized
2 conflict of interest when you have -- on
3 occasion utilities will have their own
4 project competing with the proposed project.
5 That was the situation that AEP faced when
6 they were competing with Golden Valley in its
7 Eva Creek project. So you had this conflict
8 of interest of Golden Valley being the
9 decision-maker and deciding between its own
10 project and this independent project. So any
11 time you have that kind of a situation, you
12 have a potential for a conflict of interest.

13 Another issue is the control of
14 the data. The vast majority of the data
15 that's relevant for determining whether these
16 PURPA obligations are being implemented
17 relate to avoided costs and incremental costs
18 and interconnection costs. All of the
19 numbers and all of the data and all the
20 graphs that would help you determine those
21 numbers are in the hands of the utilities,
22 which is not to say the QFs shouldn't have to
23 turn over the relevant information that they
24 have about their project, but the real
25 determining factors of what the price is

1 going to be are going to be in the hands of
2 the utility. There currently aren't very
3 good mechanisms for getting that information
4 in a timely fashion and in a way that will
5 help inform the negotiations. Then of course
6 there's the bargaining card, which we've
7 already talked about. So we think there are
8 good reasons for doing something about
9 getting better oversight and transparency.

10 So our proposal in this regard is
11 an independent monitor and analytical report.
12 I do want distinguish this from mediation in
13 a traditional sense. We think of this as
14 more of an investigation and a document
15 review by a knowledgeable person who's
16 independent and objective, who can really
17 sift through all the material and get kind of
18 a clear understanding early in the process of
19 what would be reasonable in terms of avoided
20 costs or incremental costs or interconnection
21 costs and help the Commission understand
22 that, so that they can exercise some
23 oversight at an earlier stage in the process
24 rather than waiting until the parties have
25 been at each other's throats for a year or

1 two negotiating and haven't been able to get
2 anywhere, and then finally at their wit's end
3 they come to the Commission with a formal
4 adjudication, and then maybe it will finally
5 get resolved.

6 This independent monitor can be
7 the eyes and ears of the Commission and can
8 be out there in the file room getting the
9 information that you need and distilling it
10 down and putting it in a report that is easy
11 to read, both for the Commission and for the
12 negotiating parties, so that they're all
13 working from the same information. So that's
14 the goal of this independent monitor.

15 Of course independence would be
16 important, but we do recognize that there
17 could be a limited pool of people who would
18 be qualified to do this kind of work, so
19 there's some flexibility there. If there's
20 full disclosure of whatever conflicts there
21 might be, the parties could waive it, and of
22 course the person would need to have the
23 sufficient experience and expertise to carry
24 this out.

25 But I don't think this is that

1 unusual. In fact, independent monitors are
2 used in a whole bunch of states, particularly
3 the ones that are doing competitive bidding,
4 but also other states. Commissions have
5 relied on this kind of an independent monitor
6 structure as a way of carrying out and
7 fulfilling the regulatory standards.

8 COMMISSIONER PATCH: And can you
9 identify for me the states where that's
10 happening --

11 MS. CLEMMER: Yes.

12 COMMISSIONER PATCH: -- and
13 identify for me as well whether or not they
14 are under the auspices of the states'
15 regulatory agency.

16 MS. CLEMMER: Yes.

17 COMMISSIONER PATCH: I don't need
18 that right now. I'm sorry to interrupt your
19 presentation.

20 MS. CLEMMER: That's okay.

21 COMMISSIONER PATCH: But I would
22 like that at some time.

23 MS. CLEMMER: Thank you. I had
24 it listed in my notes. It's also in our
25 brief. I'm sorry, I'm not finding the right

1 page.

2 COMMISSIONER PATCH: Very well.
3 If it's in your brief, I'll take it upon
4 myself.

5 MS. CLEMMER: Okay. It's in our
6 brief.

7 COMMISSIONER PATCH: Does your
8 brief also disclose who pays for this --

9 MS. CLEMMER: Yes.

10 COMMISSIONER PATCH: -- since
11 the -- wonderful. I'll look forward to
12 rereading your brief. I'm sorry I missed it.

13 MS. CLEMMER: That's okay. I
14 should correct myself. The brief lists the
15 states where the independent monitors are
16 used, and that same report that discusses the
17 states that are using independent monitors
18 indicates that in nearly all states the costs
19 are borne by the utility. That's their
20 general statement, but they didn't go state
21 by state and say exactly who's paying what.
22 But they did say nearly all states, so I
23 would assume that the ones they used as
24 examples would be included.

25 COMMISSIONER PATCH: Thank you.

1 Depending on when this hearing concludes
2 today, that will be a first effort I make.
3 Thank you.

4 MS. CLEMMER: Okay.

5 So the independent monitor
6 responsibilities. I kind of described those
7 already. Reviewing the utility documents and
8 the data. We do want this to be a mutually,
9 you know, full disclosure. The QFs would
10 also be required to share their information
11 about the design and operation of their
12 facility. Obviously the monitor couldn't
13 decide what's fair and reasonable without
14 knowing everything about the proposed
15 facility.

16 But at the same time PURPA
17 exempts QFs -- as part of their purpose of
18 encouraging these small facilities and
19 reducing regulatory barriers, it exempts them
20 from having to provide their financial and
21 cost information. But that really isn't
22 relevant to what the utility's avoided costs
23 and incremental costs would be anyway.

24 The independent monitor could
25 request additional information. Then the

1 ultimate culmination of this whole thing
2 would be the report that they prepare, which
3 is, in our view anyway, intended to provide
4 transparency and to let the negotiating
5 parties really be informed of each other's
6 real justifications for their positions and
7 not just kind of throw proposals back and
8 forth without really providing the backup
9 data.

10 The Commission would be involved
11 to a large extent in kind of scoping out the
12 tasks of the independent monitor at the
13 outset. They can read the reports and
14 identify gaps, ask for additional analysis.
15 Depending on what the reports say, they can
16 kind of point the parties in a direction that
17 might get them to come to agreement, or they
18 might ask one of the parties whether they'd
19 be willing to modify their position and, you
20 know, kind of make a recommendation in a
21 particular direction.

22 We're not suggesting that this
23 would be binding in any way. If the party
24 didn't take the recommendation, they could
25 certainly pursue a formal adjudication, but

1 at least the dialogue would start earlier in
2 the process, and there would be a mechanism
3 for preventing things from having to go to
4 kind of a litigation, adversarial stance that
5 could take a lot of time and resources.

6 So as I mentioned, that report
7 that I was discussing was EPSA. In that
8 report they indicated that almost all states
9 impose the costs on the utilities, and so
10 that's what we're proposing here also. We
11 think there are a lot of good reasons for
12 that. You know, they're listed there: The
13 data, the conflict of interest, the
14 bargaining position. The financial resources
15 is a big one. By definition QFs are small
16 and they're new, and they're trying to
17 generate projects that will give them an
18 income stream, but they're in the early
19 stages oftentimes. You know, so they just
20 would have a much harder time bearing these
21 costs. Also, this type of thing, every cost
22 can serve as a barrier to the development of
23 these projects, which is contrary to the
24 purpose of the law.

25 I'm moving along pretty well

1 here. I just wanted to throw in a few
2 comments and to end on a note that there is a
3 lot of positive energy here in Alaska to be
4 excited about. We have world-class renewable
5 energy resources in a lot of different areas.
6 This is map of hydro, but you can see
7 something similar for geothermal and wave and
8 kinetic and tidal and river currents. You
9 know, just pretty much every type of
10 renewable energy there is. We have the most
11 of it or almost the most of it of anywhere
12 else in the country.

13 So we have this incredible
14 potential in this state, and I think changing
15 these rules and kind of restructuring the
16 framework that these negotiations happen
17 under can really start to unleash some of
18 those projects that will start developing
19 this potential.

20 Wind, of course, is our special
21 interest. Alaska has been referred to
22 frequently as the Saudi Arabia of wind. You
23 can see from the map there's just wind
24 everywhere you look. The wind that my client
25 is experienced with has been having a pretty

1 good couple months here, which should be
2 exciting, just in general in terms of what we
3 can really do if we start working on this in
4 a more concerted way.

5 I don't know if people are that
6 familiar with these charts, but this is wind
7 production data. So you'll see basically
8 three take-home points from looking at these
9 graphs. This is December. First of all, you
10 see long stretches where you have production
11 over 3,000 kilowatt hours a day. Five days,
12 five days, seven days, and here in January
13 you have 17 days straight of really high
14 production.

15 Another thing to look at are the
16 long strings of days when you have 24 hours,
17 or close to 24 hours of being available at
18 100 percent. That means you're not having
19 shutdowns. You're not having excessive wind
20 that can cause the facility to shut down
21 automatically to protect itself. You are in
22 the sweet spot for 17 days at a time of near
23 maximum capacity. So you're producing as
24 much wind power as you possibly can, but at
25 the same time not going so extreme as to trip

1 the system and cause problems.

2 So these successes are really
3 doing a service to the Fairbanks community.
4 They're displacing a lot of oil. I think we
5 calculated just in these two months alone
6 displacing 89,000 barrels of oil -- or
7 gallons of oil.

8 Another aspect of this is that
9 when you have wind power that's this steady
10 for these long stretches of time, you're
11 really providing energy security in a grid
12 that is fragile, as people know. This
13 particular facility is in Delta Junction, and
14 it is not dependent on the Alaska intertie or
15 the northern intertie. So if there's a
16 problem on either of those systems, there's
17 an earthquake or if there's just a failure,
18 transmission failure, avalanche, Delta
19 Junction can keep producing power and can
20 keep the lights on in Delta Junction and in
21 Fairbanks and in some of the industrial
22 facilities along the way, depending on how
23 much they use.

24 It happens to be in a particular
25 part of the grid where there is redundancy,

1 which is a good thing, and there isn't always
2 in a lot of areas of the railbelt. So we
3 have redundancy, and we have no problem with
4 relying on the intertie.

5 So this wind power is just very
6 helpful, I think, to the Fairbanks community
7 who can get stranded easily by a variety of
8 different circumstances. So if this is what
9 we can do, or what AEP can do with just two
10 turbines, two of their big turbines running,
11 imagine what they could do with 16 turbines
12 and what other facilities could do with
13 similar resources. The map showed there's a
14 lot of wind in this state, and probably a lot
15 of it has similar characteristics.

16 So we think these rules could be
17 really helpful in getting some of those
18 projects off the ground. It's actually your
19 turn to go ahead, except I wanted to
20 summarize.

21 MR. CRAFT: I just want to make
22 one point about this particular chart you're
23 looking at. If you look at the 26th and the
24 27th of January, you'll see 20,523 hours,
25 20,336 hours on the one turbine, and on the

1 other side you're looking at, I believe
2 that's Turbine B, at 20,630. Just so you can
3 get a reference point of what that really
4 means, we are running 900-kilowatt turbines;
5 900 times 24 is 21,600. So the most energy
6 you could make in a day is 21,600 kilowatt
7 hours.

8 So when you see events that
9 are -- like from the 25th through the 27th,
10 for example, that's a pretty strong wind
11 event. The 26th and the 27th was 48
12 consecutive hours of 98 percent capacity.
13 It's a pretty unique wind regime. I just
14 wanted you to get an idea of what those
15 numbers really mean. You see a lot of 18s,
16 19s, 17s. We're looking at about a
17 51 percent capacity factor is what we had in
18 December. January is going to be somewhere
19 in the 54 percent capacity factor overall.

20 MS. CLEMMER: I was going to also
21 add that this is not a fluke. This is not
22 just two crazy months that are unusual. Mike
23 has told me that this pattern are steady,
24 multi-day wind events, which are unheard of
25 in the wind industry in general. These

1 really long periods of steady winds are
2 typical of this area and are documented back
3 to the 1950s. So this is just one of the
4 things that Alaska is blessed with, is these
5 mountain passes where the wind just funnels
6 in a certain direction and you can really
7 rely on it. So I think wherever you can find
8 other spots like this, I think would be good.

9 I just wanted to do a quick
10 summary. You have this summary sheet in
11 front of you. This is a summary of our
12 proposals. A couple of things we're asking
13 for are we think legally required under PURPA
14 and the FERC regulations implementing it.

15 Incremental avoided cost, the
16 QF options for being able to use an LEO, and
17 also to control the timing of when the
18 avoided cost determination is made. Then the
19 application of the avoided cost factors to
20 firm and nonfirm power. Those are the
21 changes that we think are really required.

22 The second category would be the
23 changes needed for clarification.
24 Integration fees is a hot area of dispute.
25 It would be really helpful to have some

1 criteria to establish the rules of the road
2 for utilities and QFs in this area. We
3 think, very importantly, the burden should be
4 on the utilities to justify the deductions
5 they want to make from what would otherwise
6 be required in terms of incremental avoided
7 costs.

8 Curtailment. Again, this is not
9 unique to Alaska, that utilities are trying
10 to incorporate these (b)(1) provisions giving
11 them kind of carte blanche to curtail when
12 they want to in long-term contracts. So we
13 think there's some clarification that's
14 needed there, despite the fact that the regs
15 are more or less consistent with the FERC
16 regs.

17 Then, finally, the independent
18 monitor and the transparency we think are
19 important to make these other changes work in
20 practice and to get the negotiations moving
21 along more smoothly and getting this out of a
22 contentious realm as much as possible.

23 So thank you very much for your
24 attention.

25 ALJ ROYCE: Thank you.

1 Mr. Craft, as managing partner of
2 AEP, would you like to make any additional
3 comments?

4 MR. CRAFT: Yes, sir. Mike craft
5 again.

6 I'd just like to point out that
7 I'm a little out of my element here. I'm a
8 builder, and I've been very lucky to be able
9 to work on the projects I've wanted to work
10 on for the last 35 years in Alaska. You
11 know, I got to a point where I saw the
12 economy faltering in Alaska. About eight
13 years ago I saw it coming.

14 I also heard the rhetoric out
15 there from the federal government, from the
16 state government, from local government, from
17 the utilities, from my neighbors about
18 developing alternatives. A lot of it came
19 from energy security issues. A lot of it
20 came from just how high the energy costs
21 were. Certainly in Fairbanks a lot of it
22 came from some pollution issues that we're
23 dealing with.

24 So I guess I was a little naive,
25 because I really felt that there was a

1 calling out there. There was a calling for
2 people to step forward that would be willing
3 to do the work and put the effort in to
4 create these kinds of opportunities. Sadly,
5 I found out almost I guess at the point of no
6 return, where I didn't have enough gas to get
7 back home; I had to go all the way to the end
8 before I realized how difficult this was
9 going to be.

10 I certainly never anticipated
11 having to be involving this many people and
12 taking up so much time to get to the point to
13 where I would be able to continue to finish
14 my project. It really was about doing
15 something positive for my community. It had
16 ancillary effects of better air quality,
17 cleaner water, of lots of jobs, economic
18 opportunities for people that want to put
19 their time and effort into projects like
20 this.

21 I really want to apologize,
22 because I don't know if I would have done
23 this if I had realized then what it was going
24 to take to build a couple of wind turbines
25 and do something about our problems in our

1 community. At the same time I feel kind of
2 honored now, because I'm solving a much
3 larger problem than what's just happening in
4 Fairbanks, and I didn't realize that was
5 going to be part of this. But this is our
6 state's problem. It's happening everywhere.
7 I guess now, eight years later, I'm a little
8 better informed about what these problems
9 really look like, and we're staring this one
10 in the face today.

11 I appreciate the opportunity to
12 put that on the table with you guys. Thank
13 you.

14 ALJ ROYCE: Thank you, Mr. Craft.

15 It's time -- we've been going
16 over an hour. Why don't we take our
17 midmorning break, just take a short
18 ten-minute break. So we're back here at ten
19 to 11:00. Thank you.

20 (Off record.)

21 ALJ ROYCE: Thank you. We're
22 back on record for the continuation of the
23 public hearing in Docket R-13-002 at
24 approximately ten to 11:00 a.m.

25 At this time we'll turn to

1 Commissioner inquiry. Do any of the
2 Commissioners have questions?

3 COMMISSIONER PATCH: I think I
4 have an obligation to thank Ms. Clemmer for a
5 handwritten document that I -- for those
6 people that can't see it because your eyes
7 are like mine, it is a listing of states
8 where independent monitors are apparently
9 accepted protocol. The listing of states is
10 Arizona, California, Maryland, Georgia,
11 Colorado and Oklahoma. Thank you very much,
12 Ms. Clemmer.

13 When you passed across materials
14 on your slide No. 13, you observed that you
15 have experience with specific instances in
16 Alaska where QFs or IPPs have suffered. Is
17 that reference statement with regard to your
18 clients suffering, or is that with respect to
19 another QF or another IPP with which you have
20 some acquaintance?

21 MS. CLEMMER: I was -- if I said
22 I, I meant my client. I'm sorry if I
23 misspoke.

24 COMMISSIONER PATCH: Well,
25 Mr. Craft, let me address the question to you

1 then.

2 MR. CRAFT: Yes, sir.

3 COMMISSIONER PATCH: Is that --
4 I'm well aware that there has been ongoing
5 negotiation with --

6 MR. CRAFT: Well, I'll give you
7 one -- the biggest example I can think of.
8 When we were determining whether this was
9 appropriate action for us to take to develop
10 a renewable resource, one of the things we
11 considered was the tax implications. At the
12 time the federal government through the
13 Stimulus Act had initiated the -- what they
14 call the 1603 credit. That 1603 credit was
15 put out there basically to entice developers
16 to get into the renewable energy market.

17 If you were successful at
18 qualifying for it, you were entitled to a
19 30 percent capital reimbursement. In a lot
20 of cases that 30 percent capital
21 reimbursement would act as your percentage of
22 ownership in a project. So, for example,
23 with our project, it was \$54 million. We
24 would have been able to pay off 30 percent of
25 that capital right away with the 1603 capital

1 reimbursement grant.

2 That has since left, so our
3 project is now handicapped in that sense.
4 Then after that happened, we also experienced
5 the same thing with the production tax
6 credit, because that has also lapsed. So we
7 lost out on those two opportunities.

8 One of the other major issues
9 that happened to my company was that under
10 this 2-megawatt limitation, we were limited
11 to the equipment that we could use, okay. So
12 instead of being able to go with Turbine A or
13 Turbine B, we would have to go with a
14 different piece of equipment that may not be
15 as applicable to that wind regime. It also
16 wasn't as well-known equipment, wasn't
17 developed in the cold gray environment and so
18 on.

19 So it forced my company to have
20 to develop relationships with turbine
21 manufacturers that hadn't worked in an arctic
22 environment. So as a consequence, the first
23 year and a half of operating the EWT turbine,
24 the first one we put up, was pretty sad,
25 because these guys really -- their idea of

1 cold was about 25 degrees Fahrenheit. When
2 they showed up at minus 35 with their tennis
3 shoes on -- you know, it was those kinds of
4 problems.

5 So it handicapped my company,
6 because it also -- it gave a bad taste in the
7 mouth for people that were looking at
8 renewable energy projects, because here you
9 have this project that's supposed to do X.
10 You know, we were looking at a 30 percent
11 capacity factor, but yet we were having
12 problems with the equipment, getting it to
13 work. So instead of having a capacity factor
14 that we could brag about like we did today,
15 for example, we had to keep our mouth shut
16 and basically just try to work through it.

17 COMMISSIONER PATCH: So your
18 direct knowledge of instances where QFs or
19 IPPs may have suffered is with respect to
20 your AEP project.

21 MR. CRAFT: Well, CIRI as well.

22 COMMISSIONER PATCH: Well, we'll
23 deal with CIRI when CIRI comes to the table.

24 MR. CRAFT: Well, you asked me of
25 the ones I knew of, and those are the two

1 projects that I've seen handicapped by this
2 issue.

3 COMMISSIONER PATCH: Thank you
4 very much. And in your conversations with
5 GVEA regarding what Ms. Clemmer referred to
6 as models for the calculation of incremental
7 avoided cost, did you specifically ever
8 discuss a particular model or a range of
9 models in your dealings with GVEA?

10 MR. CRAFT: Yes, sir.

11 COMMISSIONER PATCH: And which
12 particular model did you discuss with GVEA?

13 MR. CRAFT: Well, initially I
14 came forward with a model of 12.5 cents a
15 kilowatt hour for the power. That was the
16 initial offering that I made to them. Then
17 several years later, after we had problems
18 getting that to float --

19 MS. CLEMMER: Because he's
20 talking about the fixed --

21 COMMISSIONER PATCH: The actual
22 costs, yes.

23 MS. CLEMMER: Right. We never
24 really attempted to do an incremental of what
25 it cost calculation because that's not what

1 the regulatory standard currently is.

2 COMMISSIONER PATCH: I
3 understand, but you referenced in your
4 presentation a spectrum of models, and I was
5 curious -- and I'm aware of some of them.

6 MR. CRAFT: We offered them -- we
7 offered --

8 COMMISSIONER PATCH: Just a
9 minute. I'll come back to you, Mr. Craft.

10 MS. CLEMMER: Okay. The model
11 that we -- and there's kind of two questions
12 in there. The model that we referred to in
13 our discussions with Golden Valley was their
14 internal production cost model, which they
15 summarized for us and described in fairly
16 general terms, but they never provided us
17 with the underlying data or the assumptions
18 or their actual methodology. They just kind
19 of provided a list of some of the criteria
20 that they looked at, and then they came up
21 with this number for -- actually that was
22 partly for integration fees, but any of the
23 modeling that was done was done by Golden
24 Valley.

25 But then the second question is

1 what other models are out there that we're
2 aware of. I've read, just in reviewing the
3 literature, about a number of different
4 models that are used. They're summarized
5 fairly well in Carolyn Elefant's -- one of
6 the papers that she's written --

7 COMMISSIONER PATCH: Yes.

8 MS. CLEMMER: -- so she might be
9 able to answer some questions about that.

10 COMMISSIONER PATCH: All right.

11 Now, Mr. Craft.

12 MR. CRAFT: Yes, sir.

13 COMMISSIONER PATCH: I
14 interrupted you.

15 MR. CRAFT: No problem, sir.

16 COMMISSIONER PATCH: I know I did
17 that.

18 MR. CRAFT: No problem, sir.

19 COMMISSIONER PATCH: I don't do
20 it to be rude, but I wish to keep track of
21 the conversation, and it's difficult for an
22 old man to have more than one at a time.

23 What do you have to tell me?

24 MR. CRAFT: Yes, sir. The last
25 offer that we made to Golden Valley, and when

1 you talk about a model, was the average
2 avoided cost now model. We came to them
3 after we found out that we really weren't
4 going to move forward with a different kind
5 of contract, so we focused on the contract
6 that we felt at the time was legally
7 applicable, and that was the average avoided
8 cost calculation.

9 We asked them for a contract for
10 25 megawatts of capacity at their average
11 avoided cost calculation. What we got back
12 from them was this 9.8 cents offer, which was
13 under the average avoided cost by 2-plus
14 cents. They were requiring 7 to 8 cents in
15 regulation cost. So that was the answer to
16 that model that we proposed.

17 COMMISSIONER PATCH: Thank you,
18 Mr. Craft. I have no further questions. I
19 thank you very much, and I appreciate the
20 handwritten document you've provided. I'll
21 share it with the other Commissioners.

22 MS. CLEMMER: Okay. Thank you
23 very much.

24 ALJ ROYCE: Okay. Thank you,
25 Ms. Clemmer and Mr. Craft for your

1 presentations.

2 At this time we'll now turn to
3 Carolyn Elefant. Are you on the phone?

4 MS. ELEFANT: Yes, I am. I was
5 just unmuting.

6 ALJ ROYCE: Okay. Can you please
7 spell your name and identify yourself for the
8 record?

9 MS. ELEFANT: Sure. Sure. My
10 name is Carolyn Elefant. It's spelled
11 C-a-r-o-l-y-n E-l-e-f-a-n-t. I am an
12 attorney in Washington, D.C. with my own
13 firm. I represent AIPPA, the Alaska
14 Independent Power Producers, in this
15 proceeding.

16 ALJ ROYCE: Thank you,
17 Ms. Elefant. You can proceed with your
18 comments.

19 MS. ELEFANT: Okay. Before I
20 begin is the voice -- is the level of volume
21 working out for you in the hearing room?

22 ALJ ROYCE: We can hear you loud
23 and clear.

24 MS. ELEFANT: Okay. That's what
25 I was afraid of. Anyway, thank you.

1 AIPPA and its members thank the
2 Commission very much for this opportunity to
3 participate at this public hearing, and also
4 for opening this docket on these very
5 important regulations. As I'm going to
6 discuss today in my presentation, the
7 revisions that have been proposed to the
8 Commission's regulations on PURPA are really
9 important in order to bring the regulations
10 into compliance with federal law and also to
11 foster development of paying alternative
12 energy supplies that in the long run will
13 have the effect of reducing rates for
14 consumers.

15 So before I get to the substance
16 of my comments, I just wanted to give a
17 little bit of background on AIPPA. AIPPA is
18 a statewide association of independent power
19 companies who are engaged in development of
20 different types of renewable and alternative
21 energy sources. These include combined heat
22 and power, wind, conventional hydro, and also
23 marine hydrokinetic. These technologies
24 collectively diversify Alaska's energy
25 portfolio, they reduce energy costs, and they

1 also create jobs within the state.

2 But in spite of the commitment of
3 AIPPA's members to clean energy production,
4 current regulatory policy, as you've already
5 heard, has made it very difficult for
6 independent power producers to fully
7 participate in electric markets. Ultimately
8 in the long run it's to the detriment of the
9 state and also consumers who will bear higher
10 costs.

11 So I don't really want to repeat
12 AEP's presentation. It was quite extensive.
13 AIPPA's comments and our position is
14 consistent with much of what AEP has
15 presented already. As you know, we've also
16 submitted extensive comments and also reply
17 comments, so I'd like to avoid repeating them
18 here.

19 One thing I wanted to do at the
20 outset is testify to some of the broader
21 themes that the Commission will hopefully
22 keep in mind as it reviews our comments to
23 make sense of all of the information that's
24 nitty-gritty in this proceeding.

25 So our first theme here is

1 urgency. The Commission's current
2 regulations don't conform with the Public
3 Utility Regulatory Act of 1978, and really
4 they've been noncompliant for almost three
5 decades. As you've already heard, the
6 Commission's regulations -- the definition of
7 avoided cost departs from the federal
8 definition adopted by FERC and PURPA, and
9 also the regulations don't guarantee QFs a
10 legally enforceable right to sell power.

11 Under the current system with the
12 average system costs, consumers of
13 independent power producers have been
14 underpaid for power over the past few years,
15 and the regulations as currently drafted also
16 don't protect independent power producers
17 from discriminatory practices. It's really
18 essential that the Commission act swiftly at
19 this time to bring the regulations into
20 compliance with PURPA. So that is really the
21 first thing that we believe is most important
22 in this proceeding, is the urgency.

23 The second theme is simplicity.
24 We've really tried very hard to keep this
25 proceeding simple. One of the utility

1 comments that we've noticed is that they have
2 tried to unnecessarily complicate it or delay
3 the proceeding by proposing technical working
4 groups, by arguing that calculations of
5 avoided cost is very complex. But as AEP has
6 already explained, the underlying legal
7 principles in this proceeding, for example,
8 the definition of avoided cost under PURPA,
9 other concepts like nondiscrimination,
10 stability, and transparency are just not that
11 complicated. So we'd like the Commission to
12 focus on keeping this simple.

13 The other thing that AIPPA -- the
14 other approach that AIPPA has taken to
15 further keep things simple is that we've
16 recommended that the Commission where
17 possible simply adopt regulations and
18 policies already used by FERC. That way the
19 Commission can borrow from an already
20 established body of law. Of course the
21 Commission has the ability to depart from
22 federal law and from the FERC regulations
23 where it sees fit or where necessary to
24 accommodate the unique interests of the
25 state, but one of the ways to keep these

1 proceedings simple is to already use an
2 approach that's in place that comes with a
3 built-in body of -- a built-in regulatory
4 framework.

5 So once this framework is in
6 place, AIPPA expects that many of the
7 problems that producers have experienced will
8 be addressed just by putting this legal
9 framework in place, and that many producers
10 will be able to reach their goals through the
11 negotiation process. But it's really
12 important to again revise the regulations and
13 bring them into compliance so the appropriate
14 framework is in place.

15 Now, simplicity is also important
16 for another reason, and that's stability. In
17 order to attract investment to the
18 independent power producer market, there
19 needs to be certainty for investors. They
20 need to know how the system is going to work.
21 So the ability to reference how the
22 process -- how the FERC process has worked in
23 the past is something that will help -- that
24 will appeal to investors. Also simple rules
25 also are very helpful because it makes

1 clear -- it makes expectations very clear.
2 So by having simple rules in place that are
3 understandable and transparent, it will help
4 attract investment and avoid delay and
5 hopefully avoid some of the problems that
6 we've heard described by AEP.

7 Another theme that we hope comes
8 through our comments is this idea of
9 fairness. AIPPA and its members are not
10 seeking preferential treatment. As one of
11 the utilities, I believe it was ML&P said in
12 their comments, policy should be structured
13 in a way that they don't overly incentivize
14 independent power production, but neither
15 should they discourage it. That's very
16 consistent with this approach that AIPPA has
17 taken.

18 We really believe that the system
19 should be fair and should achieve a level
20 playing field. That's what was Congress'
21 intent in enacting PURPA. It was to
22 encourage independent power development, but
23 not to impose the burden on consumers. It
24 was a very ratepayer neutral approach to
25 developing independent power, and it wasn't

1 supposed to come at the cost of utilities or
2 at the cost of consumers. So that's the
3 approach that we are endorsing here.

4 So at the same time -- and this
5 is something that AEP had mentioned in terms
6 of fairness. In order for this system to
7 operate fairly, AIPPA should not have to
8 negotiate for rights that are already
9 guaranteed by law. One of the arguments the
10 utilities have made is that the current
11 regulations allow for independent power
12 producers to request specific practices --
13 specific pricing mechanisms on a case-by-case
14 basis. But the problem there is that AIPPA
15 members should not have to negotiate for
16 something that they're already entitled to.
17 So in order to create a system that's fair,
18 the Commission should put in place
19 regulations that are consistent with PURPA so
20 that everybody is starting from the
21 appropriate place.

22 The fifth theme, finally, is
23 transparency. Rates should not be set in a
24 black box. They should not be set on data --
25 they shouldn't be set in a black box.

1 Utilities should provide information that
2 substantiates their rates. They should make
3 all of the data available so that it can be
4 reviewed by the other parties in this
5 proceeding.

6 Many of the disputes that have
7 arisen in some of these previous negotiations
8 arose simply because there was a lack of
9 verifiable data. Essentially when utilities
10 are going -- if they're going to calculate
11 avoided cost or integration charges, they
12 really should make available the data that
13 supports their positions.

14 So, again, those are sort of the
15 five very broad themes that we have -- that
16 are brought out in our comments and that
17 weave their way through the testimony that I
18 am going to give today.

19 So we've already heard from AEP a
20 little bit of background on PURPA. I'll just
21 add a little bit more, but I won't go into
22 that much more detail. It was a statute that
23 was enacted in 1978. Essentially what it was
24 intended to do was to break up the utility
25 monopoly on the market and encourage new

1 power generation at a time when there was an
2 energy crisis and when there was a lot of
3 concern about future energy security. That's
4 the context that PURPA has been adopted
5 within.

6 Now, Congress has revisited PURPA
7 on several occasions in the past 30 years.
8 Many times Congress has had an opportunity to
9 repeal PURPA. There are many opponents of
10 PURPA. Many do not like that particular
11 PURPA structure, but every time Congress has
12 left the provision -- has left PURPA intact.
13 Even in 2005 with the Energy Policy Act of
14 2005, Congress to some degree cut back the
15 mandatory purchase obligation and found that
16 in markets that are robust and competitive
17 with lots of options, a mandatory purchase
18 requirement of PURPA may not be as important.
19 But very significantly they did not eliminate
20 that obligation entirely. So even as
21 recently as 2005, there's evidence that
22 Congress still believes that there's a need
23 for regulatory policy to encourage
24 independent power production.

25 The other component of PURPA that

1 I think is really important is that it's a
2 statute that is intended to be ratepayer
3 neutral. Again, very clearly throughout
4 PURPA you see that PURPA wanted to open up
5 markets, but it did not want to unfairly
6 burden ratepayers with the cost of doing so.
7 So that's another theme that I think AEP also
8 highlighted very effectively.

9 In any event, after PURPA was
10 adopted, FERC enacted regulations as it was
11 directed to by the statute. It enacted
12 regulations to implement PURPA. Essentially
13 the way that the system works is that FERC
14 regulations would create sort of a framework
15 for a structure, a uniform structure that
16 would govern what was happening in all 50
17 states. But FERC still allowed the states
18 sufficient flexibility to modify or adopt
19 PURPA in such a way as to meet the unique
20 needs of those particular markets.

21 So you see in the FERC
22 regulations, for example, a list of different
23 factors that states can consider in setting
24 avoided costs. They're not required, but
25 these are things that can be taken into

1 account. That's in order to give states
2 sufficient flexibility to enact the statute
3 in a way that works best for the indigenous
4 power producers within the state and also for
5 their ratepayers.

6 So I'm going to also address the
7 four different topics on which the Commission
8 sought comments.

9 The first is avoided cost. As
10 we've already heard from AEP, FERC defined
11 avoided cost as incremental cost. Again, as
12 AEP mentioned, FERC expressly rejected the
13 idea of basing avoided cost on average cost
14 pricing. FERC believed that average cost
15 pricing would not fully compensate
16 independent producers for the cost of power,
17 and for that reason it selected the
18 incremental cost methodology.

19 That is really very consistent
20 with the whole way that -- you know, that
21 utilities engage in planning. Customers are
22 always paying for the next unit of power.
23 Also, this idea of paying for the next unit
24 of power, I think, is very consistent with
25 another ratemaking principle, which matches

1 benefits to burden. Customers are expected
2 to pay for what they use. The burden of
3 paying rates is imposed on customers, and
4 they derive some type of a benefit. I think
5 that incremental pricing, this idea of paying
6 for the next unit, is something that more
7 closely aligns benefits and burden.

8 That's sort of another point that
9 I'd just like to make as an aside. Even
10 though PURPA talks about, you know,
11 incremental cost pricing, PURPA also
12 includes -- under PURPA, rates have to be
13 just and reasonable and nondiscriminatory.
14 So even though PURPA involves this
15 incremental cost pricing approach, much of
16 PURPA also still embraces ordinary, routine
17 components of ratemaking that the Commission
18 is well familiar with; just and reasonable
19 rates matching benefits to burden. So we're
20 not asking for any of that to be ignored.
21 That's all part of the PURPA ratemaking
22 process.

23 So AIPPA has participated in a
24 couple of proceedings before where this issue
25 of incremental versus average cost pricing

1 has come up. As we mention this in our
2 comments, AIPPA has previously stated that
3 the system average method consistently
4 undervalues energy purchased from qualified
5 facilities and small power producers. System
6 average costs put QFs and small power
7 producers at an economic disadvantage, and
8 it's not in the public interest.

9 As we also noted in our comments,
10 when Commission staff considered AIPPA's
11 comments, these were comments that were filed
12 April 2nd, 2012, staff actually agreed that
13 under the currently employed average cost
14 methodology, the resulting rate runs the risk
15 of being not truly representative of the
16 actual costs avoided by the QF producer.

17 So this is something where I
18 think there's already some growing
19 acknowledgment that average costs really
20 don't fully compensate for the costs that the
21 utility is avoiding.

22 So really one of the most
23 important revisions that the Commission
24 should make is to add the term "incremental"
25 to the definition of avoided cost pricing.

1 Again, it's for the reasons that
2 AEP explained and that I alluded to before.
3 It's not enough for QFs to have to ask --
4 approach the Commission and propose
5 incremental cost pricing. Incremental cost
6 pricing has to be the starting point. It
7 isn't a point that QFs have to argue their
8 way up to in order to achieve it.

9 So really the regulations need to
10 be changed so that everybody is on the same
11 page and that incremental avoided cost
12 pricing serves as a starting point for
13 negotiations. Once you have that as the
14 floor, again, the parties can negotiate
15 higher than avoided costs or lower than
16 avoided costs. We don't want to eliminate
17 the opportunity for parties to negotiate and
18 to enter into contracts, but at the same time
19 there has to be an agreed-upon starting
20 point, and that incremental avoided cost
21 pricing would be the agreed-upon starting
22 point.

23 So in addition to the definition
24 of avoided cost, we've also suggested in our
25 comments, and AEP discussed this as well, the

1 regulations also have to make clear that QFs
2 have the option to provide power either on an
3 as-available basis or pursuant to a legally
4 enforceable obligation.

5 The legally enforceable
6 obligation is really what gives PURPA its
7 teeth. In Order 69 where FERC adopted its
8 own PURPA regulations, FERC said that the
9 legally enforceable obligations permit -- it
10 discourages utilities from trying to
11 circumvent their PURPA obligation. A utility
12 can't try to avoid entering into a contract
13 or prolonging contract negotiations in order
14 to get around its PURPA obligation. So
15 that's why the obligation is very important.

16 The legally enforceable -- just
17 by making clear that QFs have -- that PURPA
18 confers a legally enforceable obligation can
19 really increase their leverage in negotiating
20 a power purchase agreement, and it can also
21 help avoid an impasse where, for example, a
22 utility insists on contractual provisions
23 that are inconsistent with PURPA and, you
24 know, basically offers a take it or leave it
25 deal. There's a legally enforceable

1 obligation to enter into a contract. That
2 prevents a utility from just walking away.

3 So by just using the same
4 language that the Commission -- that FERC
5 uses and establishing a legally enforceable
6 obligation would be very useful in helping to
7 give independent power producers -- to
8 leveling the playing field for them during
9 negotiations.

10 Finally, another change that the
11 Commission should make in its regulations
12 relating to avoided cost and the enforceable
13 obligation is that the Commission should make
14 clear that the utilities adequately disclose
15 the data, information, and methodologies that
16 they use to calculate avoided cost rates.
17 That would also be a very important theme
18 including the transparency of the process,
19 which again is another one of the themes that
20 AIPPA believes is important in this
21 proceeding. So those are essentially our
22 comments on avoided cost.

23 In terms of the details, we have
24 suggested that the Commission -- that this
25 Commission simply adopt FERC's regulations on

1 the factors to be considered in avoided cost
2 ratemaking. We discussed this in our
3 comments. It's a somewhat lengthy list and
4 we don't need to go into it here, but we
5 believe that that would really give
6 sufficient flexibility to this Commission to
7 set avoided cost rates. Again, it's a system
8 that is very well known. It's been
9 applied -- the factors have been applied
10 before, so they're very familiar and so it
11 could be adopted very easily.

12 The next topic that I'm going to
13 discuss are integration costs. AIPPA
14 considers a -- to some extent there can
15 sometimes be a little bit of confusion about
16 what integration costs entail. When we
17 talked about integration costs in our
18 comments, we considered them to be the costs
19 associated with maintaining reliability while
20 integrating renewables into the grid. Those
21 are the costs that we would consider to be
22 the integration charges. We view these
23 charges as a little bit different from
24 interconnection costs, which typically refer
25 to actual hardware and physical facilities

1 that are needed to bring renewables online
2 and deliver power to the grid.

3 Traditionally, those
4 interconnection costs are treated a little
5 bit differently. They're sort of treated to
6 some extent outside of the avoided cost
7 rates.

8 So one of the things that AIPPA
9 has noticed is that in some instances
10 utilities have been proposing integration
11 charges that may account for a large portion
12 of the overall project costs. There's two
13 problems with that. Sometimes when the costs
14 are -- these costs are proposed, they're just
15 unsubstantiated. That's very problematic
16 because when integration charges aren't
17 substantiated, it's not clear whether they're
18 costs that are attributable to independent
19 power, if they're costs that relate to
20 upgrade to the entire system, in which case
21 all system users should pay for them.

22 So without substantiation of
23 integration costs, you can't tell if you're
24 matching the burden with the benefit. You
25 can't tell whether those are aligned. Again,

1 that's another point that I had made earlier.
2 Matching the benefits received from
3 particular policies to the burden of the cost
4 is just a generally accepted ratemaking
5 facet. Unless your integration costs are
6 substantiated and you can see what's causing
7 them and how significant they are and what
8 they relate to, you really can't decide how
9 to allocate them. So that's one reason why
10 substantiating integration costs is so very
11 important.

12 The next point that AIPPA has
13 made is that when utilities bring their own
14 facilities online, they typically don't
15 charge integration costs themselves, so
16 charging integration costs to other users is
17 also discriminatory.

18 So what's the solution? At this
19 point there are so few systems online
20 already. The penetration of renewables is so
21 low that at this point AIPPA believes that
22 there should at least be a presumption that
23 integration costs are zero unless a utility
24 can demonstrate otherwise. The benefit of
25 establishing this type of presumption is that

1 it ensures that the onus remains on the
2 utility to provide legitimate and verifiable
3 data on integration costs that can directly
4 be linked to an integration to the grid. So
5 that's the approach that we have taken in our
6 comments.

7 AIPPA also believes that to the
8 extent that the Commission authorizes
9 recovery of integration charges from QFs,
10 those costs should be no more or less than
11 what the utilities would allocate towards the
12 operational costs of its own facilities. So
13 that part of the approach also ensures that
14 the charges are nondiscriminatory and that
15 they can remain neutral. So that's the
16 approach that we have proposed for
17 integration costs.

18 Again, keeping it simple, keeping
19 it consistent with generally applicable
20 ratemaking practices of matching benefits to
21 burden and ensuring that there's fairness and
22 a level playing field for QFs and for
23 utilities.

24 The next point that the
25 Commission sought comments on is curtailment.

1 I think that AEP covered a lot of the issues
2 and concerns very thoroughly. The concern,
3 of course, with unilateral curtailment is it
4 offers utilities another opportunity to
5 potentially circumvent PURPA. You know, to
6 curtail power at a time when it's
7 economically convenient for the utility to do
8 so is really just a way for the utility to
9 potentially circumvent the PURPA obligation.
10 Especially if a utility has a long-term
11 contract in effect with a QF that already
12 provides pricing, as FERC said, the long-term
13 contract already takes into account the
14 general ups and downs and the economics of
15 the power purchase agreements.

16 So that's one of the concerns
17 that curtailment raises. FERC has dealt with
18 the curtailment issue multiple times,
19 including in some recent cases that both
20 AEP and AIPPA and some of the other parties
21 have cited. FERC emphasizes that they're
22 not -- that they're intended to be applied in
23 very narrow circumstances.

24 We noticed as we reviewed the
25 utilities' comments that there really does

1 seem to be a general consensus between all of
2 the parties that curtailment should be
3 approached very narrowly, that projects
4 should really only be curtailed if there are
5 some emergencies or in very narrow situations
6 that have been discussed by the FERC rules
7 and that AEP also elaborated on.

8 So the proposal -- so what we've
9 suggested that the Commission do in this
10 situation to address curtailment is currently
11 the Commission's regulations on curtailment
12 basically track FERC's regulation. So AIPPA
13 does not believe that there's really any need
14 for the Commission to change its regulations
15 on curtailment. But we do think that as part
16 of this proceeding, the Commission should
17 perhaps adopt prefatory language in the
18 preamble essentially stating something to the
19 effect that curtailment regulations are not
20 intended to allow a utility to escape its
21 contractual or legally enforceable obligation
22 to purchase power from a qualifying facility.
23 That should only be used in emergency
24 circumstances and otherwise unilateral
25 curtailment should be avoided.

1 We believe that by making this
2 type of a statement, again, the Commission
3 will sort of clarify the starting point so
4 that everybody can start in the same place
5 and that when parties go to negotiate a
6 contract, if a utility has some sort of broad
7 provision within the contract for allowing
8 unilateral curtailment, it will be very clear
9 that that type of provision is a nonstarter.
10 We think that having that type of clarifying
11 language will really go a long way to
12 avoiding an impasse in negotiations and
13 avoiding different disputes in the
14 negotiation process.

15 In terms of the competitive
16 bidding practices, at this time AIPPA
17 believes that really discussing competitive
18 bidding is premature as markets are still too
19 nascent. In terms of other alternatives,
20 like alternative dispute resolution and
21 market monitors, these are policies that may
22 be worth exploring, but AIPPA would suggest
23 that these different policies perhaps be
24 decided outside of this docket.

25 Those types of proceedings could

1 be much more involved, and they might require
2 more discussion. Again, that would -- could
3 cause undue delay in a proceeding where it
4 really is urgent for the Commission to
5 rectify some of the problems of the
6 regulations right away. So while we're not
7 averse to exploring those different options,
8 we believe it could be handled outside of
9 this particular docket and doesn't
10 necessarily have to be addressed at this time
11 through workshops or other extensive review
12 processes.

13 One last point that we had raised
14 in our -- in the AIPPA comments that goes to
15 the question of the Commission's jurisdiction
16 in this proceeding, as the Commission is well
17 aware, there are some publicly-owned or
18 municipal utilities that are not subject to
19 the Commission's jurisdiction. So even
20 though those municipalities are subject to
21 PURPA, they are required to purchase -- to
22 have avoided cost rates available and to
23 extend and to purchase power from independent
24 producers. That's something that is really
25 enforced through the FERC process; however,

1 even though the Commission doesn't have
2 jurisdiction over those entities, if the
3 Commission were to adopt regulations that are
4 consistent with what FERC is doing, it would
5 sort of ensure uniformity across the board.

6 So that would be another reason
7 for the Commission to adopt FERC's
8 regulations, because it would ensure that
9 what the municipal systems are doing in terms
10 of PURPA were very consistent with what the
11 privately-owned utilities are doing. They
12 would generally be subject to the same
13 regulations, even though the regulations that
14 are -- even though the course of action for
15 enforcing the regulations against the
16 municipalities would have to be taken up
17 through the FERC enforcement process.

18 So those are really the -- it
19 summarizes the points that we've already made
20 in the comments that we've submitted. Just
21 to conclude, again, as AEP has already
22 pointed out, Alaska has an abundance of
23 renewable resources, but at the same time
24 many of those resources are not being
25 developed. Also, Alaska has some of the

1 highest energy rates in the country. PURPA
2 affords a mechanism that can help to address
3 many of Alaska's energy problems, but in
4 order for PURPA to work, the Commission
5 should implement this in a way that is
6 consistent with the governing statute, and
7 that unfortunately has not been the case.

8 This proceeding provides the
9 Commission with an opportunity to get PURPA
10 right and to send out the types of signals
11 that are necessary to stimulate independent
12 power development within Alaska's markets.
13 By implementing -- by conforming the existing
14 Commission regulations to FERC regulations
15 and to PURPA, the Commission can bring the
16 type of fairness, transparency, and stability
17 to Alaska's energy markets that will attract
18 independent power and promote competition,
19 which ultimately will benefit consumers and
20 ratepayers.

21 Again, thank you very much for
22 the opportunity to participate and to offer
23 comments at this hearing. I'm happy to
24 answer whatever questions the Commission may
25 have.

1 ALJ ROYCE: Thank you,
2 Ms. Elefant. Are there any questions by
3 Commissioners? Commissioner Rokeberg.

4 COMMISSIONER ROKEBERG: Thank
5 you. I'm curious, Ms. Elefant, if you have
6 an opinion about the FERC versus Idaho case.
7 Is it your understanding that -- I'm not that
8 familiar with the final details of it. I
9 just know that there was a settlement. But
10 can an IPP and a utility enter into the
11 bargaining of the terms of a contract even
12 though an LEO is now presumed to be in place
13 given that case, just so they're in
14 conformance with the particular state's
15 regulations?

16 MS. ELEFANT: Let me see. So as
17 you pointed out, the case -- the FERC versus
18 Idaho case has been settled. My view of that
19 case is always that it -- well, first of all,
20 just by way of background, it's very, very
21 unusual for FERC to bring an enforcement
22 action against a state Commission. In fact,
23 this was the first time FERC had ever done
24 that. I think that the only reason that FERC
25 actually brought the action was because there

1 had been some disagreements between FERC and
2 the Idaho Commission over when this legally
3 enforceable obligation attached.

4 So what had happened in Idaho,
5 Idaho had originally had a standard offer
6 rate that was available to projects up to
7 10 megawatts. Idaho eventually decided to
8 downgrade that standard offer to projects
9 with just 100 kilowatts. So in that interim
10 period, there were a couple of facilities
11 that were 10 megawatts or larger that were
12 sort of on the verge of entering into a
13 contract. So obviously they wanted to be
14 able to keep the standard offer rate, which
15 was very favorable.

16 The utilities in turn were eager
17 to move on to the new system where there
18 would be a different rate in place for these
19 10-megawatt facilities. So as a result, the
20 negotiations dragged out and the companies --
21 and so they dragged out. The Commission did
22 not approve the contract. They found the
23 contracts weren't in place, had never been
24 executed. So as a result of that, the QFs,
25 which in this case were wind, weren't able to

1 take advantage of that more favorable
2 standard offer. So that was something that
3 had happened three times.

4 So what FERC said was, you know,
5 even though a contract isn't executed, even
6 though both parties don't execute it, when
7 the QF comes forward and states that they're
8 ready to negotiate a contract and they're
9 prepared to sell, that's when this legally
10 enforceable obligation attaches. In those
11 Idaho cases that LEO had attached at a time
12 when that standard offer was still available.

13 So FERC's position was basically
14 that these wind facilities should have been
15 entitled to that particular rate, the rate
16 that was in effect at the time that the
17 LEO was in effect.

18 Now, those cases -- again, it was
19 a very quirky proceeding, because it came at
20 a time when Idaho was transitioning from
21 standard offer for 10 megawatts to
22 100 kilowatts. So that's why there were a
23 couple of those cases and that's why FERC, I
24 think, found it necessary to get involved in
25 the case to confirm that the rate that is in

1 effect -- to confirm that the legally
2 enforceable obligation attached at the time
3 the parties were ready to deal.

4 Ordinarily that really isn't that
5 much of an issue. To be honest, there really
6 isn't -- there really aren't that many other
7 cases out of different jurisdictions where
8 there has been that dispute because, you
9 know, ordinarily you don't have a rate that's
10 got like a time offer on it, you know, where
11 it matters that much. But the LEO is -- the
12 legally enforceable obligation is part of the
13 law.

14 You know, again, it's a way to
15 sort of prevent contract negotiations from
16 dragging out. If the parties know at the
17 beginning that there's a legally enforceable
18 obligation, they're both essentially going to
19 get the deal done. You're not going to have
20 a situation where -- you're going to have
21 more incentive, I think, for the parties to
22 agree, because that obligation is already
23 something that's in place.

24 So I don't know if I answered the
25 second part of your question. I'm happy to

1 take a follow-up question.

2 COMMISSIONER ROKEBERG: Well,
3 thank you very much for your explanation of
4 that particular case. Perhaps I should not
5 use it in that context, but if I could expand
6 it somewhat.

7 MS. ELEFANT: Sure.

8 COMMISSIONER ROKEBERG: My
9 inquiry is in areas, for example, in
10 curtailment or -- can you have specific
11 agreements within a contract between an
12 IPP and a utility that would be either --
13 would be inconsistent with the particular
14 state's regulations, particularly speaking in
15 terms of the context of like curtailment or
16 integration in a congested transmission
17 system, for example?

18 MS. ELEFANT: Well, I think
19 generally speaking the parties can always
20 negotiate whatever they want. So if they
21 come to an arm's length negotiation, I
22 suppose in a situation if a QF were willing
23 to accept a unilateral curtailment provision
24 within the contract and perhaps it was
25 getting some type of a benefit or perhaps

1 rates were being set in such a way that the
2 QF was able to live with the unilateral
3 curtailment provision, that is something that
4 would be acceptable. The parties can always
5 voluntarily negotiate almost everything they
6 want, even if it is inconsistent with state
7 regulation or with PURPA.

8 What typically happens in these
9 cases, though, is that the IPP does not
10 necessarily -- does not voluntarily or does
11 not want to voluntarily agree to a unilateral
12 curtailment provision. So in that situation
13 unless -- you know, unless you make clear
14 that there can't be unilateral curtailment,
15 the utility can potentially walk.

16 There's a case, for example,
17 right now at FERC, and I can't remember if it
18 was either just decided or if the complaint
19 had been filed, but essentially there was a
20 utility, I think it was perhaps in Idaho,
21 that had basically said we want to -- you
22 know, our PPA has a unilateral curtailment
23 provision. If you don't agree to that
24 unilateral curtailment provision, we're not
25 going to sign the contract. So the QF went

1 to FERC and said they can't force us to agree
2 to something, to a unilateral curtailment
3 provision that is inconsistent with PURPA.
4 That would be forcing us to contract away our
5 rights, and that's something that's not
6 lawful; however, if the QFs had agreed and
7 said that this is great; we don't have a
8 problem with this; they certainly could have
9 done that. But what typically happens in
10 these cases, and the reason why it's
11 important to establish the right for, is
12 because what typically happens is that the
13 QF does not want to agree to those
14 provisions.

15 COMMISSIONER ROKEBERG: And
16 that's where the leverage comes in if there's
17 a LEO more or less?

18 MS. ELEFANT: Yes. If you
19 know -- if everybody has sort of agreed to
20 what these basic provisions are, if you're
21 going into the deal and you know that you can
22 only have curtailment in a very limited
23 situation or if you know that your rates are
24 going to be based on incremental prices
25 rather than average prices, that kind of sets

1 the starting point. Everybody can agree on
2 the starting point.

3 The problem, as I understand it,
4 is that QFs have been expending a lot of
5 effort and resources in sort of climbing up
6 to that starting point. I mean, that should
7 be the floor and it's, you know, almost been
8 as if the QF has been in the basement and had
9 to, you know, argue and negotiate to get up
10 to that floor. Everybody should start at
11 that -- you know, the floor should be
12 established, and then beyond that there's
13 more opportunity to negotiate.

14 When everybody agrees what the
15 floor is, you do have leverage because the
16 utility knows that it can't -- that there are
17 certain areas that it just can't go. So
18 it's -- you know, it can't say we're going to
19 pull this deal away because you won't agree
20 to unilateral curtailment. It's forced to
21 continue to negotiate, you know, when it
22 already -- when it knows that that's
23 something that can't be bargained away.

24 I think that kind of opens the
25 door for companies to -- companies and

1 utilities to come up with more creative
2 approaches that are a win-win for everybody.
3 You know, when you're not wasting time
4 arguing over something that is already
5 established, you can focus on ways to -- on
6 deals that are win-win for the IPP, for the
7 utility, and for the customers.

8 COMMISSIONER ROKEBERG: Thank
9 you, Judge. Thank you, ma'am.

10 ALJ ROYCE: Any other
11 Commissioner questions? Hearing none, thank
12 you, Ms. Elefant, for your presentation.

13 At this time we'll turn to
14 Mr. Mohler representing Cook Inlet Region.

15 MR. MOHLER: I have an outline of
16 my --

17 ALJ ROYCE: Sure. You can
18 distribute them. I can pass them out.

19 Mr. Mohler, before you begin, do
20 you have an idea of the length of your
21 presentation? I'm just trying to plan the
22 lunch break.

23 MR. MOHLER: Well, thanks to the
24 very good presentations by AEP and AIPPA, I
25 think it's been shortened some.

1 ALJ ROYCE: Okay.

2 MR. MOHLER: So I'd estimate
3 between 20 minutes and a half-hour.

4 ALJ ROYCE: Okay. Please
5 proceed.

6 Please identify yourself for the
7 record and who you represent.

8 MR. MOHLER: My name is Paul B.
9 Mohler. I'm an attorney here representing
10 Cook Inlet Region, Inc. Also, here in the
11 room today from Cook Inlet Region, Inc., or
12 CIRI, are Ethan Schutt, the senior vice
13 president of CIRI and president of Fire
14 Island Wind, and Suzanne Gibson, senior
15 director of energy development for CIRI.

16 Thank you, Mr. Chairman,
17 Commissioners, and Judge Royce for the
18 opportunity to speak here today. I think you
19 already know the background of Cook Inlet
20 Region, Inc. and the Fire Island Wind
21 project, so I'm not going to spend time on
22 those. Fire Island was not a QF project, so
23 it has some relevance in terms of being an
24 IPP wind power project, but it wasn't
25 negotiated under the QF regulations.

1 CIRI supports the revised
2 QF regulations -- or largely supports the
3 revised QF regulations that have been
4 proposed by AEP. We do have some differences
5 with those, and I'll talk about those
6 specific areas in a moment. Before I do
7 that, though, in general CIRI's very
8 interested in working with utilities and
9 negotiating with utilities to reach results
10 that work for both CIRI, the utilities, and
11 consumers in the railbelt.

12 That is, the focus for CIRI is
13 getting projects done, projects that work,
14 and that are investable. That's an important
15 factor in its review and thinking about the
16 proposed rulemaking here; that is, as we go
17 through this, if you have curtailment, for
18 example, that provides for curtailment in
19 situations where there are not system
20 emergencies, is an investor going to look at
21 that and say that project simply isn't going
22 to be investable for us. We won't loan you
23 the money to build that project.

24 So a touchstone for CIRI in this
25 proceeding has been whether these regulations

1 will provide a framework that's both workable
2 for the development and financing of
3 renewable energy projects.

4 AEP has done, I think, a very
5 good job of explaining the legal authority to
6 revise the QF regulations. It's
7 unquestionable that this Commission has that
8 authority with regard to the regulations at
9 issue. PURPA provides the overarching
10 statutory authority. The FERC regulations
11 then implement PURPA, and your regulations
12 flow from those.

13 I referred to the term
14 "cooperative federalism." That's a term that
15 FERC used in its recent settlement with the
16 Idaho PUC. It is simply recognition that
17 there is a relationship between FERC and the
18 state agencies with regard to the regulations
19 that the state agencies are asked to
20 implement. In implementing those
21 regulations, you do have some discretion and
22 a fair amount of authority to recognize the
23 local circumstances in which the regulations
24 have to work.

25 We support the AEP proposal

1 relating to avoided costs. In 1982, when
2 this Commission issued its rulemaking
3 adopting the original QF regulations, it
4 recognized that marginal cost was at least
5 theoretically the appropriate way to
6 calculate avoided cost. Marginal cost is
7 incremental cost. Marginal costs and
8 incremental costs are not equal to average
9 costs. Incremental costs should be adopted
10 by this Commission as the basis for avoided
11 cost.

12 There are also a list of factors
13 that were identified by AEP and proposed in
14 their regulations that departed somewhat from
15 the list of factors that are in the FERC
16 regulations. CIRI would support what I heard
17 as AEP's alternate proposal that if AEP's
18 list of factors was too complicated or wasn't
19 supportable, that this Commission should
20 consider simply adopting the FERC factors.
21 CIRI would support that result. Those FERC
22 factors are at Section 292.304(e) of the FERC
23 regulations. That would be 18 CFR Section
24 292.304(e).

25 We would support an incremental

1 approach for both long- and short-term
2 QF rates. For long-term rates we would
3 support an outcome that included long-term
4 capital costs in the calculation of avoided
5 cost. That, again, is consistent with the
6 FERC regulations.

7 QFs should have two options for
8 the delivery of power from QF projects;
9 either to deliver the power and be paid at
10 the time of delivery or to provide the power
11 over a specified period of time. That is
12 what Ms. Elefant referred to as the legally
13 enforceable obligation or LEO option. CIRI
14 would propose that a reasonable length of
15 time would be up to 20 to 25 years to comport
16 with what it sees in the market as a typical
17 time period for power purchase agreements or
18 PPAs.

19 We don't know that that needs to
20 be in the regulations, but if it were in the
21 preamble as an option or a reasonable period
22 to expect contracts to cover, I think that
23 would be an appropriate way to handle that.

24 With regard to curtailment,
25 again, it should be only for emergency and

1 reliability purposes. The current
2 regulations are consistent with the FERC
3 regulations, but lack clarity. That clarity
4 could come, again, in a preamble comment that
5 makes it clear that the opportunity for
6 curtailment outside of emergency reliability
7 circumstances would be very limited, and that
8 economic curtailment would not be appropriate
9 in any circumstance.

10 We too recognize the difference
11 or distinction between interconnection costs
12 and integration costs. Interconnection costs
13 are costs of facilities that are used to
14 interconnect the QF project with the utility.
15 As such, they can be identified, they can be
16 costed out with some reliability, and
17 assessed appropriately.

18 The current regulations do that.
19 Integration costs, however, we would go even
20 further than AEP or AIPPA and propose that
21 all integration costs be rolled into the
22 system costs. As you saw in AEP's
23 presentation, with integration costs ranging
24 from zero to 1.1 to 7 plus or minus cents per
25 kilowatt hour, the costs themselves appear

1 almost on their face to be discriminatory.
2 How can you have zero cents for one system
3 and 7 cents for another project?

4 Our proposal would be to -- and
5 we put regulatory language into our reply
6 comments that reflects this proposal. Our
7 proposal would be to simply roll all of those
8 costs into the utility's overall costs in the
9 same way that they manage those costs.

10 If there were a fallback for us,
11 I think that we'd be much closer to AIPPA's
12 position, which would be to provide a
13 presumption that integration costs are zero
14 with a requirement that the utility provide
15 the details for any costs that it thinks are
16 caused by a QF project. But when it does
17 that calculation, it should also include the
18 benefits of cost, because QFs provide both --
19 they may create costs, but they may also
20 provide benefits when they integrate with a
21 system.

22 The fourth item you asked for
23 comment on, the RFP, request for proposals;
24 we took no position on. We did, however, in
25 our initial comments propose that in

1 implementing QF rates, it might be
2 appropriate to have some sort of standard
3 form or standard offer contract. In
4 responding to AEP's proposal for an
5 independent monitor, we had some concerns,
6 some reservations about that.

7 At this point I'm not sure this
8 proceeding is the place to try to craft a
9 standard offer contract. It might be
10 appropriate for a proceeding at some future
11 time. But we don't believe that an
12 independent monitor would be an
13 appropriate -- a mandatory independent
14 monitor would be an appropriate mechanism for
15 negotiating QF contracts.

16 As I said at the outset, CIRI is
17 very committed to working with utilities to
18 negotiate deals that will work, that can be
19 funded, that are financeable. For us, the
20 potential to get thrown into some sort of
21 mandatory process, I think, just raises
22 concerns and potential unintended
23 consequences that we just can't evaluate at
24 this point. Therefore, we'd ask that that
25 proposal at least be put off and considered

1 as part of a broader implementation at some
2 future time.

3 Now, you will almost certainly
4 hear that there are a number of aspects of
5 this proposed rulemaking that need to be
6 studied, that need workshops, that need
7 additional analysis. Our view is that that's
8 not correct or that the sequencing needs to
9 be done correctly; that is, you can issue the
10 rules or proposed rules consistent with the
11 recommendations made by AEP, AIPPA, and CIRI.
12 Then with those rules of the road in place,
13 or at least proposed, you would be in a
14 better position to know and the parties would
15 be in a better position to know exactly what
16 kind of workshops might be required, what
17 kind of additional implementation
18 requirements there would be.

19 So to do studies first and then
20 try to craft regulations, I think, would
21 sequence this just the wrong way and
22 potentially paralyze this proceeding for some
23 indefinite period of time, when if you're
24 going to start attracting capital investment
25 in QF and other IPP projects to Alaska and to

1 the railbelt, you should start as quickly as
2 possible in revising these regulations, put
3 in place regulations that would result in
4 contracts that are financeable and that can
5 attract the investment and lenders needed to
6 build those contracts.

7 I'd like to conclude by, I think,
8 echoing comments made by Mr. Schutt at the
9 September meeting that introduced and
10 implemented this rulemaking proceeding.
11 That's that IPPs are different than
12 utilities. IPPs are willing to take on much
13 more risk than utilities would in building
14 projects and in going out and introducing new
15 and innovative technologies.

16 That's not to say that utilities
17 aren't interested in that, but utilities have
18 a different perspective. They are, and
19 rightfully so, very concerned with
20 reliability and ensuring that they can keep
21 the lights on day in and day out. For IPPs
22 reliability is certainly a concern, but they
23 also want to build projects that they can put
24 into the network, that they can get funded,
25 and that will also add to the resilience and

1 reliability of the utility system.

2 Thank you.

3 ALJ ROYCE: Thank you,
4 Mr. Mohler. Are there any questions by
5 Commissioners?

6 COMMISSIONER PATCH: I have none.

7 ALJ ROYCE: Thank you. Just
8 before I -- thank you, Mr. Mohler. You are
9 excused.

10 Just maybe take a roll call of
11 people in the hearing room or people on the
12 phone that are supportive. Does anybody else
13 want to make a presentation, other than I see
14 the representatives of GVEA and ML&P. I know
15 they want presentations, but is there anybody
16 else that would like to make a presentation
17 before us today either in the hearing room or
18 on the phone? Okay.

19 Hearing none, we'll come back at
20 1:30 and we'll hear presentations by GVEA
21 first and then we'll hear ML&P.

22 Mr. Thompson.

23 MR. THOMPSON: If it's okay with
24 Your Honor and the Commission, we had planned
25 on the Alaska Power Association going first

1 to provide the general statement followed by
2 ML&P and Golden Valley.

3 ALJ ROYCE: That would be fine.

4 MR. THOMPSON: Okay. Thank you.

5 ALJ ROYCE: Thank you. All
6 right. See everybody at 1:30. We're off
7 record.

8 (Off record.)

9 ALJ ROYCE: We're back on record
10 for the continuation of the public hearing in
11 Docket R-13-002 at approximately 1:33.

12 Commissioner Pickett is
13 unavailable for this afternoon's hearing. He
14 will review the transcript before taking any
15 action in the proceeding.

16 At this time, Mr. Thompson, are
17 you ready with your presentation?

18 MR. THOMPSON: I am, Your Honor.

19 ALJ ROYCE: Please state your
20 name and identify who you represent and
21 proceed.

22 MR. THOMPSON: Yes. My name is
23 Dean Thompson with the Law Firm of Kempel,
24 Huffman & Ellis. I'm here on behalf of the
25 Alaska Power Association.

1 ALJ ROYCE: Thank you. Please go
2 ahead.

3 MR. THOMPSON: Okay. A couple of
4 preliminary matters. I am here to summarize
5 the comments that APA has submitted in this
6 docket and to expand on a couple of areas. I
7 don't intend to repeat all of the arguments
8 that were stated in the comments, trusting
9 the Commission has read them, but I do want
10 to clarify that the comments that were
11 submitted in writing and most, if not all, of
12 what I will be testifying to today are the
13 result of a collaborative process of APA's
14 members.

15 APA represents several electric
16 utilities throughout Alaska, regulated and
17 unregulated, and has a regulatory working
18 group that gets together and confers
19 regarding regulatory dockets such as this and
20 has been doing that for years. APA has
21 participated in many of the Commission's
22 rulemaking dockets, particularly ones
23 relating to PURPA and the more narrow issue
24 of qualifying facilities.

25 Of course when you have a group

1 like that, one voice can't speak for all of
2 the members, and that is why in this case, as
3 in other cases, some of APA's members, such
4 as Chugach, Golden Valley, ML&P, have
5 submitted comments on their own and will be
6 testifying before the Commission on their
7 own.

8 So I guess just preliminarily I
9 believe I am accurately stating the
10 conclusions of the working group that we had,
11 but individual APA members may have a
12 different take on some of the details here.
13 Incidentally, APA wanted to thank the
14 Commission for scheduling a second hearing in
15 this case. APA had requested something like
16 that because, as we speak, many APA members
17 and the general managers and others who might
18 otherwise be at a hearing such as this are in
19 Juneau for a previously scheduled set of
20 meetings.

21 Just to give the Commission a
22 preview, on the next hearing date, February
23 4th, currently APA expects that
24 representatives from Chugach, MEA, AEL&P, and
25 possibly one or two others will be speaking

1 at the February 4th hearing.

2 What I plan to do is to start off
3 by giving you from 30- or 40,000 feet APA's
4 general positions regarding the issues in
5 this docket, and also to share with you what
6 APA believes the disputes in this proceeding
7 should not be about. Then conclude by
8 indicating what we think are the three or
9 four important themes, for lack of a better
10 word, in this docket. I will then briefly
11 attempt to summarize some of the finer points
12 regarding the four issues that the Commission
13 raised in its order and that AEP has
14 submitted comments and proposed regulations
15 regarding.

16 In terms of overall positions,
17 APA -- they can be distilled down to three.
18 First is that APA believes the requested
19 changes to the regulations are not necessary.

20 Secondly, APA believes that if
21 the Commission decides it wants to more
22 closely reflect the regulations that FERC has
23 adopted for QFs, that it should do it
24 completely and precisely and not introduce a
25 third set of regulations that are not the

1 Commission's, that are not FERC's; that
2 they're something different.

3 And then third, there is one
4 minor amendment that hasn't been discussed
5 other than in APA's initial comments very
6 briefly, but one housekeeping amendment that
7 probably should be done. That has to do with
8 the definition of qualifying facility in the
9 Commission's regulations.

10 So to add some color to those
11 three points, the requested changes to the
12 regulations are not necessary. I know I
13 personally have a laundry list of regulations
14 that I would like to change, and they can
15 always be improved and tweaked, but it
16 doesn't happen very often. Part of it is
17 because you have to go through a process like
18 this. I think the main reason is because
19 unless it's something significant, unless
20 there's a need for a change in the
21 regulation, there is some advantage beyond
22 inertia to have consistent and predictable
23 regulations through time.

24 In this docket it has been argued
25 that these regulations were adopted in the

1 early '80s and look how much has changed
2 since then. Most of the Commission's
3 regulations were adopted in the early '80s
4 and earlier. Their vintage does not mean
5 that they're obsolete.

6 PURPA, the federal statute, has
7 changed in some ways, not ways that affect
8 the Commission's regulations, but PURPA is
9 still the same as it was in 1978 with some
10 minor exceptions. FERC's PURPA regulations
11 are still the same as they were before the
12 Commission adopted its regulations. So the
13 age of these regulations and the enormous
14 strides in technology that have occurred
15 since then do not indicate that these
16 regulations need to be changed.

17 The main reason that I've heard
18 big picture for why these regulations need to
19 be changed, and I think it was AIPPA -- I'm
20 not sure how they -- but I believe counsel
21 indicated that the current regulations are in
22 violation of PURPA, that the Commission has
23 failed to implement PURPA through its
24 regulations.

25 The first counter to that

1 obviously is that the APUC went through a
2 very long process of investigation when it
3 adopted those regulations. Certainly the
4 Commission and the Department of Law reviewed
5 it for legal sufficiency. I would cite you
6 to Order No. 4 in Docket U-81-035. In that
7 Order the Commission addressed comments by
8 commenters at that time saying you can't
9 implement this regulation, because it doesn't
10 conform exactly with FERC's regulations and
11 it will violate PURPA.

12 The Commission responded and
13 addressed those issues. Starting at page 10
14 the Commission cited court decisions and FERC
15 briefs in litigation. Suffice it to say, I
16 won't bother reciting for you the
17 Commission's determination, but the
18 Commission determined -- made a reasonable
19 determination that its regulations, as
20 adopted, complied with FERC and adequately
21 implemented its PURPA obligation. Other than
22 in comments, that hasn't been challenged
23 since the regulations went into effect.

24 So it's one thing to say you
25 don't like the regulations and you think they

1 could be better; you think they could assist
2 IPPs better if they're changed; it's another
3 to say that they're illegal or that you must
4 change them in order to comply with PURPA.
5 Again, PURPA hasn't changed since these
6 regulations were adopted in a way that would
7 affect the validity of these regulations. So
8 that first reason, I think obviously you
9 should take another look at it if you're
10 concerned about that, but a determination has
11 already been made regarding the legality of
12 the regulations.

13 In the Order that I just cited,
14 the Commission acknowledged that it had
15 flexibility in how to implement PURPA. It
16 acknowledged that it was -- it didn't even
17 have to adopt any regulations. It could have
18 implemented PURPA on a case-by-case basis
19 through adjudication as agencies can
20 establish policy through rulemaking or
21 adjudication.

22 The Commission considered that
23 option and rejected it. It said, no, we want
24 to have regulations. But the Commission said
25 it doesn't have to be a verbatim copy of the

1 FERC regulations, and we're going to tailor
2 it to the issues that we think are most
3 important and the circumstances under which
4 these regulations will be implemented. So
5 the Commission did that, and the current
6 regulations reflect the items that the APUC
7 determined were most important in its
8 implementation.

9 Substantively, there are only two
10 areas that, broadly speaking, are covered in
11 the FERC regulations that are not in your
12 regulations. Just as I mentioned before, but
13 the first is the express recitation of the QF
14 having the option to sell QF power as
15 available or pursuant to a legally
16 enforceable obligation. Related to that, if
17 the QF chooses LEO, that it can choose to
18 have pricing determined at the time of
19 delivery or at the time of the legally
20 enforceable obligation.

21 The second issue is that -- or
22 the second area where the FERC's regulations
23 contain something that your regulations don't
24 has to do with the factors to consider when
25 determining avoided cost. FERC in its rules

1 at Section 304(a) lists four broad areas of
2 factors that should be considered. Your
3 regulations contain three of them. In some
4 of those your regulations don't go to the
5 same level of detail, but that is one area,
6 that list of nonexclusive factors, you could
7 beef up yours if you wanted to add the one
8 area that isn't addressed in your
9 regulations. But by and large, even with the
10 factors, your regulations hit the ones from
11 FERC's regulations that the APUC thought
12 would be most germane to issues in Alaska.

13 Incidentally, I'm not aware of
14 any practitioner who has believed, in Alaska,
15 that the factors under the FERC regulations
16 or the QF option to sell pursuant to an LEO,
17 that those rules did not apply in Alaska
18 simply because the RCA's regulations don't
19 include them. I know I have advised my
20 clients that when you're looking to what your
21 obligations are vis-a-vis a QF, you should
22 look at the Commission's regulations, but if
23 you need to determine what they mean or the
24 scope of what factors should be taken into
25 account, you should look at the FERC's

1 regulations and you should look at FERC
2 precedent.

3 The APUC, interestingly enough --
4 and I apologize, I don't have the docket
5 number for you, but i will find it and
6 provide it to you -- but shortly after the
7 APUC adopted the current regulations, the
8 APUC adjudicated a QF complaint case against
9 Golden Valley Electric. Throughout it there
10 are citations to FERC regulations, including
11 the legally enforceable obligation option and
12 FERC precedent on the finer points. You
13 will -- there are probably other cases that
14 were litigated where that occurred, but --

15 ALJ ROYCE: And that docket was
16 not cited in your comments?

17 MR. THOMPSON: I don't believe it
18 was, Your Honor.

19 ALJ ROYCE: Okay. Thank you.

20 MR. THOMPSON: But it --

21 ALJ ROYCE: If you can provide
22 the cite.

23 MR. THOMPSON: Golden Valley and
24 Healy Power, Inc., HPI, but I will find it.
25 I tried to find it at lunch. I just

1 misplaced it.

2 ALJ ROYCE: Okay. Thank you.

3 MR. THOMPSON: So the
4 Commission's current regulations, I don't
5 think anyone has construed them as rendering
6 the FERC's regulations or FERC precedent as
7 being irrelevant. Certainly it's instructive
8 and constructive authority and probably
9 helpful at the margins in interpreting PURPA
10 obligations. It may not be binding authority
11 the way your own regulations are, but they
12 have been available.

13 The one minor but necessary
14 amendment that I referenced before is in the
15 definition of qualifying facility, which is
16 located at 3 AAC 50.820, Subsection 11. It
17 states that qualifying facility means a
18 cogeneration facility or a small power
19 production facility which meets the criteria
20 prescribed by Part 292, Subpart B of FERC's
21 regulations as effective June 30th, 1982,
22 including size, fuel use, ownership, and
23 efficiency standards.

24 That was correct when these
25 regulations were adopted. FERC has amended

1 its regulations in that section since then,
2 not in a way that materially affects the
3 issues that we're discussing in today's
4 hearing, but it has modified those
5 regulations, particularly in the wake of the
6 Energy Policy Act of 2005. Those changes
7 affect who is a QF and who isn't.

8 So to the extent that this
9 definition references FERC regulations, it
10 would seem prudent to have it reference the
11 current regulation. I know the Department of
12 Law has had various issues with incorporating
13 statutes by reference. I don't know where --
14 what the latest thinking is on that, but I
15 raise this as an issue because this is --
16 although it's a technical and administrative
17 one, at some point it may have some
18 relevance.

19 Okay. I wanted to move on to
20 what APA believes the disputes in this
21 proceeding should not be about. I'll follow
22 up by telling you what we think it is about.
23 The reason I go through these is because we
24 have heard various arguments for the need to
25 revise regulations, and AEP has focused on

1 the regulations to a large extent, but other
2 commenters have raised a lot of issues that
3 APA doesn't believe are really relevant to
4 the issue of whether these particular
5 regulations should be modified. These
6 regulations, of course, address utility
7 obligations to a qualifying facility. These
8 regulations don't purport to address all
9 things related to IPPs or renewable energy or
10 anything of that sort.

11 So the disputes in this
12 proceeding should not be about, No. 1,
13 whether renewable energy is good. In APA's
14 initial comments we tried to highlight that
15 APA and its members have for decades been in
16 favor of increasing use of renewable energy
17 production, reducing fossil fuel production
18 if and to the extent it can be done without
19 harming ratepayer interests. Certainly in
20 the examples in APA's comments and in other
21 comments filed by other utilities, utilities
22 have been at the forefront in Alaska of
23 developing hydroelectric power. Utilities
24 own hydroelectric power, own wind power,
25 purchase renewable energy from qualifying

1 facilities and others. So this should not be
2 a referendum on whether increasing use of
3 renewable energy is good or not.

4 As ML&P indicated in its
5 comments, from an avoided cost perspective,
6 renewable energy isn't an end in and of
7 itself, but to the extent that it can reduce
8 customer rates certainly, increase
9 reliability, increase diversity, that's a
10 good thing. So there isn't a dispute about
11 that. But that doesn't mean that the
12 regulations need to be revised.

13 Secondly, the disputes in this
14 proceeding should not be about House Bill 306
15 or Alaska Statute 44.99.115. It's
16 tempting -- I know it's tempting to cite that
17 whenever it appears to support your argument.
18 APA attempted to provide its interpretation
19 of that legislation in its reply comments on
20 pages 4 through 6, so I won't repeat the
21 arguments, but the bill and the statute and
22 the legislative intent say what they say and
23 they mean what they mean.

24 But it is improper to say that
25 the statutory energy policy that was adopted

1 in that statute has a goal of a certain
2 penetration by 2025. There was a statement
3 of legislative intent; that is not the same
4 as being adopted in statute. What
5 legislators or others have said about it
6 afterwards, certainly that may reflect what
7 their intent was, but in statutory
8 construction that doesn't -- isn't
9 determinative about what the scope of the
10 statute is.

11 The statute is not in AS 42.05 or
12 42.05 or 42.06, the statutes that govern the
13 operation of the RCA. So it may not be
14 popular to appear to minimize the scope of
15 legislation that adopted the state energy
16 policy, but it needs to be given the effect
17 that a plain reading of the statute provides.

18 Third, the disputes in this
19 proceeding should not be about the necessity
20 to increase the percentage of energy
21 production by IPPs. This argument is raised
22 in various contexts, but the idea is that
23 penetration by IPP production is an end in
24 and of itself. The percentage of
25 IPP production in Alaska is lower than what

1 it is in the competitive markets of the Lower
2 48, and apparently that's a bad result.
3 Whether it's a bad result can be debated, but
4 it certainly doesn't have direct relevance
5 for your regulations governing qualifying
6 facilities.

7 Another argument that has been
8 raised in this docket regarding this is that
9 we have to go beyond encouraging qualifying
10 facilities without harming ratepayers, which
11 is the purpose of your regulations and we
12 have to encourage IPPs, not only in and of
13 itself, but because it's necessary for Alaska
14 to attract the private, quote, unquote,
15 capital that's required to build the
16 renewable energy projects that the state
17 needs.

18 I've never heard that argument
19 developed, but suffice it to say that
20 electric utilities in Alaska, whether they're
21 private or government-owned or cooperative or
22 investor-owned, there isn't a shortage -- an
23 unusual shortage of capital, debt capital or
24 equity capital available to construct the
25 projects that need to be constructed. So

1 utilities aren't against IPPs. Utilities in
2 Alaska purchase power from IPPs or QFs, but
3 to say that something special has to be done
4 in RCA regulations to deal with a credit
5 problem, APA isn't aware of any such credit
6 or capital issue.

7 Last, the disputes in this case
8 should not be about whether IPPs are
9 necessary to lower customer rates. That's
10 another argument that usually gets thrown in
11 at the end. Rates in Alaska are high; we
12 need to do something about it; let's change
13 the regulations. These regulations, again,
14 are dealing with obligations to a qualifying
15 facility, which is more than anything about
16 avoided cost.

17 The whole avoided cost concept is
18 designed to leave ratepayers economically
19 indifferent to where the utility purchases
20 its power. It was never designed and isn't
21 being implemented to reduce customer rates.
22 That's the point. The point of PURPA is that
23 if you are in this special class, qualifying
24 facility, utilities are required to provide
25 to the QF all of the benefits of trade. So

1 the idea is not to help the customers in
2 terms of rates. It's to not help them, but
3 not hurt them, which as you can imagine, is a
4 fine line to be on.

5 I think it was AIPPA's attorney
6 indicated earlier that with the proposed
7 regulations, QFs or IPPs are not looking for
8 preferential treatment. Well, PURPA and
9 these regulations by design create
10 preferential treatment. It's not a bad
11 thing, but we should call it what it is.

12 If ML&P wants to sell power to
13 Chugach, it has to go and show Chugach that
14 its customers will be made better off as a
15 result of that. They negotiate on how to
16 share the gains from trade. What ML&P can't
17 do is go and say, you have to buy from me and
18 you have to pay every cent that you would
19 have otherwise spent to produce that power
20 yourself, thus leaving your customers
21 economically indifferent.

22 That's a special right that's
23 provided to qualifying facilities under
24 federal law, and the utilities and APA
25 recognize that, but it isn't about saving

1 money for ratepayers.

2 So that's APA's position,
3 respectfully submitted, on what the issues in
4 this case should not be about, should not
5 turn on. The important big-picture issues
6 from APA's perspective are threefold in this
7 case.

8 The first question is: Has
9 AEP proven by a preponderance of the evidence
10 that its proposed amendments are necessary?
11 If not, the regs should stay the same. As I
12 indicated before, while we may want to tweak
13 regulations from time to time, unless there's
14 a compelling reason to do so, there is some
15 value in consistency and predictability and
16 in avoiding the potential for unintended
17 consequences from hastily amended
18 regulations.

19 Big picture item No. 2 is, in
20 this case I found myself wondering, and I
21 think it's a good question to ask: Are some
22 or most of AEP's issues or complaints really
23 about what the rules should be, or are they
24 about AEP's complaints about how it believes
25 one utility has improperly followed those

1 rules? It's a distinction that matters. I
2 can't help but think that part of what is
3 being argued about here is an adjudicatory
4 matter, the details. The avoided cost
5 calculations, as I'll talk about briefly and
6 others will talk about in greater detail, are
7 complex technical matters. It can be done,
8 but it isn't something that can be
9 exhaustively addressed through regulations or
10 even effectively addressed through
11 regulations, other than providing some
12 general principles. But it is an issue that
13 seems to exist in this case, whether this
14 case is really an adjudicatory complaint more
15 so than an actual rulemaking about
16 regulations that need to be changed and
17 broadly applied to all regulated utilities in
18 Alaska.

19 One example on that that I want
20 to make sure is clear is this case more than
21 other rulemaking cases seems to be -- seems
22 to have wind power, nonfirm wind power in the
23 background. For years all of the significant
24 disputes about PURPA were from cogeneration.
25 This is more about wind power. When you're

1 talking about integration costs and levelized
2 pricing over a forecast period, that's a wind
3 type of issue. I'm not trying to dismiss
4 that as an issue, but it doesn't have the
5 feel of something of broad applicability that
6 would justify amending the regulations.

7 The third and, from APA's
8 perspective, most important big-picture issue
9 is ensuring that whatever is done or isn't
10 done in this case, that customer rate
11 interests are protected. APA believes that's
12 especially important when you're dealing with
13 trying to change the rules or the application
14 of rules with regard to avoided cost and
15 qualifying facilities. Again, the whole
16 paradigm is designed to leave the customers
17 only economically indifferent, to not help
18 them, but not hurt them.

19 So if you are considering
20 changing the rules and if those changes may
21 have impacts on how avoided cost is
22 calculated and implemented in contracts, the
23 customers' interests are directly implicated
24 by that. I'm overstating -- oversimplifying
25 this, but to a large extent the utilities are

1 going to recover their costs, whether they
2 pay avoided cost or two times avoided costs.
3 In general, the utilities are going to
4 recover those costs through its cost of power
5 adjustment. If it pays two times avoided
6 costs, the customers will just pay
7 significantly higher rates.

8 So APA and its members are
9 interested in these issues and are cautious
10 about changing these regulations primarily --
11 well, I would say solely because the concern
12 is that somehow implicitly or explicitly it
13 will result in the utility having to pay
14 greater than avoided cost. We'll argue about
15 what avoided cost means, but whatever it
16 means, we think it's important to make sure
17 that customers are not saddled with the rate
18 increases that result if we get it wrong.

19 The ways the customers can be
20 negatively impacted are twofold. No. 1, the
21 most obvious is directly in rates, as I just
22 described with COPA. The second way is
23 indirectly through increased base cost rates
24 from increased administrative costs on the
25 part of the utility. The utilities recognize

1 that to implement PURPA, it's going to have
2 to incur administrative costs that it didn't
3 otherwise in negotiating deals with QFs and
4 determining avoided costs and the regulatory
5 aspects of it, but it is something to keep in
6 mind when someone is proposing that every
7 regulated utility in Alaska file detailed,
8 incremental avoided cost calculations
9 annually with the Commission regardless of
10 whether there is any dispute with a QF or if
11 they've ever had any expression of interest
12 from a QF.

13 Those are real costs that
14 eventually one way or the other, through
15 labor and other costs, get reflected in
16 customer rates. So APA's overall interest is
17 that customer rate impacts be carefully
18 considered throughout the entire process of
19 considering avoided cost or qualifying
20 facility related amendments to regulations.

21 Moving on to the four issues that
22 the Commission sought comment on and that
23 AEP proposed regulations on. The first one
24 is avoided cost, and that can be divided up
25 and should be divided up between the avoided

1 cost definition and the avoided cost
2 methodology. In the comments those two
3 concepts get blurred, but I think if we're
4 talking about changing regulations, that
5 distinction should be made.

6 So apart from the methodology,
7 let's first talk about the definition. The
8 Commission's definition of avoided cost is
9 identical to the FERC's definition of avoided
10 cost except that the Commission refers to
11 costs and FERC refers to incremental costs.
12 But as we argue in APA's comments, the term
13 "incremental" in the definition is redundant,
14 because both definitions prescribe a but for
15 analysis in determining the avoided costs.

16 For example, your regulations
17 define avoided cost: The cost to an electric
18 utility of electric energy or capacity or
19 both, which but for the purchase from the
20 qualifying facility, the utility would
21 generate or purchase from another source.
22 The economists who deal with this on a daily
23 basis or even less frequently will tell you
24 that the only way to satisfy that definition
25 and determine a true avoided cost is to

1 calculate total costs without power from a
2 QF and total costs with power from a QF and
3 subtract the two. That gives you the avoided
4 cost. That, by definition, is an incremental
5 cost analysis. It's calculating the delta.
6 It's calculating the difference between those
7 two scenarios over some period of time.
8 That's where the implementation disputes
9 start.

10 ALJ ROYCE: Excuse me.

11 Mr. Thompson, how do you respond
12 to Ms. Clemmer's argument that the language
13 in the FERC preamble that system average
14 avoided costs are not the same as incremental
15 avoided costs?

16 MR. THOMPSON: I would agree
17 that, from a definitional standpoint, system
18 average cost is different from incremental
19 cost.

20 ALJ ROYCE: Okay.

21 MR. THOMPSON: And when I get to
22 the methodology section, I'll address the
23 apparent conflict in the regulations that
24 exist.

25 ALJ ROYCE: Okay. Thank you.

1 MR. THOMPSON: So the definition
2 itself implies an incremental analysis. The
3 definition itself, when you do a but for
4 analysis with and without, doesn't ask you to
5 average costs over anything. At its most
6 simple basis if you're asking what is the
7 avoided cost of 1 kilowatt hour, calculate
8 all the costs for generating 500 kilowatt
9 hours. Then calculate your costs for
10 generating 501 kilowatt hours, and do a
11 subtraction of the total, and you will get an
12 incremental cost for that kilowatt hour. So
13 from a definitional perspective you don't
14 need incremental.

15 As APA has stated, if you have
16 your heart set on it and you want absolute
17 consistency with the FERC's definition, APA
18 doesn't believe it will have any effect by
19 changing the definition to include
20 incremental. So that's our position
21 regarding the definition.

22 The more controversial issue is
23 the avoided cost -- the methodology that's to
24 be used. The one last item that came up in
25 reply comments, or actually maybe it was in

1 initial comments by AEP, but while APA thinks
2 the definition is fine the way it is, if you
3 have your heart set on including incremental,
4 APA doesn't believe it will cause any
5 difference from a definitional standpoint.
6 But APA does oppose AEP's proposal to add a
7 clause to the definition that doesn't exist
8 in the Commission's regulations or FERC's
9 regulations.

10 That clause that AEP proposes to
11 add at the end is with the presumption that
12 the most costly increments are displaced by a
13 QF before less costly increments. APA
14 opposes including that in the definition. If
15 we want -- if there's merit to that at all,
16 it has to do with the methodology, not the
17 definition.

18 But, No. 1, adding a presumption,
19 a substantive presumption to a definition is
20 generally disfavored. But No. 2, the
21 presumption is either -- as we explain in our
22 brief, it's either redundant or completely
23 unnecessary or worse, it is an attempt to
24 inject systematic error into the avoided cost
25 calculation itself. APA explains that in its

1 pleading; I won't go into it. But either way
2 APA believes that that isn't necessary and
3 actually would do harm to add that clause to
4 the definition.

5 Moving on to the avoided cost
6 methodology. Again, this is one that bears
7 clarification, because all we're talking
8 about is for nonfirm energy. That's the
9 scope and extent of the dispute here. The
10 methodology -- the general methodology that
11 applies to both firm and nonfirm broadly is
12 found in Section 770(c) of your current
13 regulations: Rates for purchases of electric
14 power must be just and reasonable and must
15 not discriminate against qualifying
16 facilities or adversely affect the consumers
17 of the electric utility. That's the broad
18 rule.

19 Then for firm power, Subsection
20 770(e) states that: Purchases -- for
21 purchases from a QF that supplies firm power,
22 rates must be based on the cost of energy and
23 capacity which the electric utility avoids by
24 virtue of its interconnection with the
25 qualifying facility. So, again, without

1 invoking the term "incremental" or without
2 even invoking the term "avoided cost," the
3 Commission has set forth an incremental
4 analysis there. It's the cost that you avoid
5 by virtue of purchasing from a QF. That's
6 the general rule that applies to firm power.

7 Now, if we go back to Subsection
8 (d) of 770, the general rule for nonfirm
9 power is similar. Rates must be based on the
10 cost of energy which the electric utility
11 avoids by virtue of its interconnection with
12 the qualifying facility. So far they're
13 identical. It prescribes an avoided cost
14 methodology, and it's necessarily
15 incremental.

16 The problem is Subsection
17 (d) goes on to say: Rates under this
18 subsection, referring to the nonfirm power,
19 must comply with the following requirements.
20 Subsection 1 provides a formula. That
21 formula, I think, can be fairly described as
22 an average production cost over a 12-month
23 period.

24 How APA interprets this is
25 slightly different from the others in this

1 docket. Having reviewed the APUC order in
2 order -- or Docket U-81-35, I don't think the
3 APUC was saying that this average production
4 cost is the definition of avoided cost. They
5 clearly weren't saying that this is equal to
6 incremental cost. I think the -- these are
7 my words, not the APUC's, but I don't see
8 anything that contradicts this. I think the
9 Commission was coming up with a methodology
10 to do a proxy calculation, to calculate an
11 estimate of what incremental costs would be
12 if you went through all of the details and
13 resolved all of the methodological issues and
14 timing issues of incremental costs.

15 I think that's a distinction.
16 It's not just a technical distinction. The
17 Commission wasn't saying this is how avoided
18 costs should theoretically be calculated, and
19 they weren't saying this equals incremental
20 costs. They were saying for convenience and
21 administrative efficiency, for nonfirm power
22 only, we're going to prescribe this method to
23 calculate a number that we think will be
24 close to what the true incremental costs
25 would be. Sometimes it may be higher;

1 sometimes it may be lower.

2 I think further that since the
3 Commission did not adopt that formula for
4 firm energy, I think it can be fairly
5 inferred that the Commission thought that for
6 nonfirm energy it wouldn't be -- precision
7 wouldn't be as important as for a 100
8 megawatt firm cogeneration facility. I
9 think -- now I'm really speculating here,
10 but.

11 I think the Commission was at
12 that time thinking that we need this formula
13 so that utilities can start offering their
14 standard offer for 100 KW or less in their
15 tariff, which FERC's regulations -- that was
16 the main thing that the APUC had to do to
17 implement FERC's regulations. It had to do
18 it quickly. It had to require the utilities
19 that it regulates that they put in their
20 tariff a standard offer rate for small, tiny,
21 nonfirm QFs, 100 KW or less.

22 By the way, through a later
23 section that refers to Section (d)(1), that's
24 what this does, and that's where we -- the
25 vast majority of times that you have come to

1 apply or see this formula, it's when
2 utilities submit their quarterly COPA filing
3 and update their nonfirm purchase power rate
4 for 100 KW or less, and they use this
5 formula. It's a proxy for incremental cost.

6 The complaints that are raised
7 here were raised back in U-81-35 that, oh,
8 that's average cost; that's not incremental.
9 The Commission said we know, but this is an
10 administratively practical way to do this.
11 As being someone who has done these
12 calculations for very tiny utilities and
13 updated it and had QFs appreciate being able
14 to see a ballpark estimate of what we're
15 talking about for the utility, I think it's
16 worked very well for that purpose.

17 What wasn't contemplated,
18 certainly not expressly, is a 25 megawatt
19 nonfirm wind farm. So I understand the
20 reason that there's a dispute about this now.
21 So I think we can -- to analyze this issue I
22 think we should distinguish between the
23 standard offer rate for very small and maybe
24 even larger than 100 KW. You can get a lot
25 larger than 100 KW, and you're still talking

1 about a QF that's so small that the
2 difference on a quarterly basis between
3 incremental costs and average production
4 costs won't be significant and may benefit
5 the QF.

6 So if we separate those out,
7 first dealing with the standard offer issue,
8 APA believes that this formula should
9 continue to be used for the standard offer
10 rate. The electric utilities have to have
11 all of these costs as part of their COPA
12 filing. It makes it easy. It adjusts with
13 the cost of fuel, which is usually the
14 incremental cost at issue for small
15 utilities, and it serves a purpose of
16 providing notice to potential QFs that may be
17 larger or smaller of what the going rates
18 are.

19 I believe that AEP has said --
20 and, again, I'm not talking about the large
21 ones yet -- that even for these small
22 standard offers, you have to use incremental
23 cost, and don't tell me you can't do it. It
24 can be done. Sure it can be done. AEP said,
25 but if you're concerned about the impacts on

1 these small standard offer rates, maybe just
2 calculate it once a year. So calculate
3 incremental cost once a year.

4 This will be addressed by others,
5 but how do you do that? For one year?
6 Again, the timing of a true incremental cost,
7 if we want to truly calculate incremental
8 cost, we'll do it by kilowatt hour, or we'll
9 do it by minute, or we'll do it by second, or
10 we'll do it by hour, or by day, or by month,
11 or by quarter. Whatever you want to choose,
12 you can calculate an incremental cost, but
13 when you get out to a year, to say, oh, just
14 do it annually and that won't be a problem
15 doesn't resolve the methodological issue of
16 how you calculate an incremental cost versus
17 an average production cost.

18 Can you do it? Certainly. Many
19 people in this room can do it. They may have
20 slightly different methodologies for getting
21 there, but when you're talking about a small
22 utility that has never seen a QF, but has to
23 under your regulations provide an updated,
24 nonfirm purchase power rate standard offer
25 every quarter, to require them to do

1 incremental cost system modeling is something
2 that's unreasonable when compared to the
3 benefits from that calculation.

4 Our position is the APUC
5 correctly made this call, certainly for those
6 QFs, that this is not a perfect incremental
7 cost calculation, but it's a proxy from
8 readily available data that gets you pretty
9 close.

10 With regard to large, nonfirm
11 QFs, the regulations do provide an out from
12 this formula, and that is that it says unless
13 otherwise modified by the Commission. I
14 would think that if you have a very large, a
15 25 megawatt QF, it would not take much of
16 a -- it wouldn't take much to persuade the
17 Commission or a utility that this is a size
18 where it's worth modeling what the
19 incremental cost would be.

20 I don't think it's that
21 controversial, and I may be wrong and other
22 utilities can speak up, but for large,
23 nonfirm QFs, I think a utility would want to
24 have the avoided cost calculation based on
25 incremental cost, in part, especially if

1 you're talking about a 25-year contract and
2 projecting what the rates -- what the avoided
3 cost rates will be over a 25-year period,
4 projecting fuel costs over a 25-year period,
5 and doing the modeling with and without on a
6 daily or a yearly basis, the utility wants to
7 get it right. If the utility calculates
8 incremental cost, apart from errors in
9 estimating future gas prices or fuel prices,
10 the utility wants to get it as right as it
11 can with the data that it has.

12 It wants to get the modeling
13 right, because if it's wrong and the utility
14 is locked into paying costs that are
15 50 percent greater than what its actual
16 avoided costs end up being, the ratepayers
17 pay higher rates. If you're doing estimates,
18 you're going to be wrong; you know that, but
19 you need to get it as right as you can. So
20 that's what electric utilities would want to
21 do if you're talking about a long-term
22 contract with a large, nonfirm provider.

23 So APA believes you don't have to
24 throw the baby out with the bathwater and
25 just delete this average production cost

1 formula. It's a proxy for incremental costs
2 that works for the small utilities -- or
3 small QFs and small utilities, but if you're
4 talking about a large -- very large nonfirm
5 QF, the Commission can certainly order that
6 it be incremental cost if there's even a
7 dispute about it.

8 On this point, AEP's objection to
9 that is, well, we shouldn't have to come and
10 ask you to resolve a dispute we're having
11 with a utility about this. I believe it was
12 AEP who said that the Commission decided
13 against case-by-case implementation of PURPA.
14 Apples and oranges. The case-by-case
15 implementation, as I discussed earlier, is
16 whether the Commission was going to adopt the
17 regulations at all or instead implement PURPA
18 through adjudication. The Commission chose
19 to do it through regulation. That didn't
20 mean that there would never be a dispute
21 between a QF and a utility that the
22 Commission would have to arbitrate.

23 So the case-by-case analysis
24 choice has not precluded the Commission from
25 having what makes sense to me, a fallback

1 clause that if this proxy doesn't work for a
2 particular situation and the parties can't
3 work it out, come tell us and we'll decide.
4 I can't imagine that the Commission would
5 look at a very large QF where millions of
6 dollars are going to be paid by ratepayers
7 and would say, no, you have to use this
8 average production cost and ignore what the
9 actual incremental cost estimate is over
10 time. So this may be one of the areas where
11 you're being asked to, through a rulemaking,
12 adjudicate a dispute between one QF and one
13 utility.

14 Lastly, as a complete
15 alternative, if you -- APA doesn't believe
16 you need to change the regulations at all as
17 we said, but if you do want to clarify that a
18 large QF would have the ability to insist on
19 something other than the average production
20 cost proxy, one simple change you could make
21 is to Subsection (d), the last sentence,
22 where it says: Rates under this subsection
23 must comply with the following requirements.
24 You could instead say: Rates for the
25 standard offer for QFs selling 100 KW or less

1 must comply with the following requirements.
2 That would exclude entities that weren't
3 under the standard offer and would kick them
4 back up to the body of Subsection (d) that
5 says that the rates must be based on the cost
6 of energy which the electric utility avoids
7 by virtue of its interconnection, which is
8 the same as what's available to firm power.
9 So if you really think there's a compelling
10 reason to make this distinction, that would
11 be one way to do it that would do less harm
12 than what AEP has proposed.

13 The next issue that doesn't fall
14 cleanly within the four issues that the
15 Commission raised in its order, but has been
16 raised here, is the issue of the QF option to
17 sell power as available or pursuant to a
18 legally enforceable obligation. APA --
19 regretfully, we did not address that issue in
20 our comments. But as I indicated before --
21 well, I guess we did refer to it in our reply
22 comments, Exhibit 1, APA Exhibit 1. That is
23 where APA took AEP's proposed amendments and
24 did a red-line comparison with the FERC
25 regulations that AEP was seeking to model.

1 At page 6 of APA Exhibit 1 we
2 show a comparison between what AEP is
3 proposing and what the FERC regulations
4 require regarding the QF option. As we
5 indicated in the italicized text, AEP's
6 proposed new Subsection 77 (e) is identical
7 to the text in the FERC's regulation other
8 than some numbering conventions. But that --
9 like I said before, I think the utilities
10 that I've worked with, they have recognized
11 that if a QF wants to sell pursuant to a
12 long-term agreement, that the utility can't
13 say, nope, the only way we'll purchase power
14 from you is if you -- is if it's just on a
15 short term, as-available basis.

16 So this doesn't seem to be,
17 again, an issue in dispute, other than
18 possibly if AEP believes that it has been
19 treated that way by another utility. But the
20 FERC regulation is clear on this. The APUC
21 didn't see the need to adopt this in its
22 regulations, but I think you'll see in other
23 cases where the Commission has addressed it,
24 the notion that a QF has that option has not
25 been in question.

1 So do we need to include this
2 language in the RCA's regulations? It really
3 depends on if you want to go towards verbatim
4 implementation of the FERC's regulations,
5 then you should adopt them verbatim. Is it
6 necessary? I don't think so. If an issue
7 regarding this option comes up, I'm sure that
8 the Commission will look to the FERC's
9 regulations for guidance on this.

10 This concept really is
11 fundamental to the PURPA avoided cost
12 concept. It also definitely relates to the
13 curtailment issue that the Commission's
14 regulations does address expressly in Section
15 770(b)(1) and then also in 770(h).
16 770(h) clearly contemplates a sale of
17 QF power pursuant to a long-term contract.

18 That Subsection H says that an
19 electric utility or QF may agree by special
20 contract to different rates, terms, or
21 conditions for purchases otherwise required
22 by the section. A contract between an
23 electric utility and a QF is valid if the
24 Commission determines that the rates, terms,
25 or conditions or purchases are just and

1 reasonable to the customers of the utility
2 and in the public interest. Here's the
3 important language: The contract may not be
4 nullified under 3 AAC 50.770(b)(1), the
5 curtailment section, without prior Commission
6 approval. So the Commission didn't implement
7 all of this in precisely the way that FERC's
8 regulations did, but I think it can be fairly
9 inferred that a QF does have that option.

10 Regarding avoided cost factors,
11 and I indicated earlier that the avoided cost
12 factors that the Commission has in its
13 regulations are -- three out of the four are
14 very similar, if not identical, to the FERC's
15 regulations. The FERC's list of factors are
16 not exclusive, but it basically gives
17 guidance on when you're calculating avoided
18 cost, when you're calculating the cost --
19 modeling the cost without the QF purchase and
20 with the QF purchase, you take into account
21 all factors of cost and benefits.

22 So, again, the Commission has
23 three out of four, in general, and those seem
24 to be the ones that the Commission thought
25 were most important in the types of

1 QF scenarios that it would run into. Those
2 factors are listed at Subsection 770(e)(1),
3 (d) through (f), the availability of capacity
4 or energy from a QF during system and daily
5 peak periods. The ability of the electric
6 utility to avoid costs due to the
7 availability of energy or capacity from the
8 QF, and the cost or savings resulting from
9 variations in line losses due solely to the
10 purchase from QFs. Those are all logical
11 factors that are referenced in the FERC's
12 regulations and provide sufficient guidance.

13 One issue that was addressed
14 obliquely in the different comments is that
15 AEP proposes to eliminate the definition of
16 firm and nonfirm from your regulations and to
17 eliminate any reference to firm or nonfirm in
18 your regulations. APA obviously opposes
19 that. The firm and nonfirm definitions in
20 this regulation are consistent with what we
21 all in the industry understand the
22 distinction between firm and nonfirm to be in
23 most cases.

24 That definition has been helpful
25 in other contexts besides these regulations,

1 because it's a definition that comes up in
2 power sales agreements between utilities and
3 in rate schedules. So it's a useful
4 distinction to make, and it's an important
5 distinction under the Commission's
6 regulations. The main way that I think of it
7 as important is when a qualifying facility
8 says, hey, I want to sell you power; how much
9 would your avoided cost be? My first
10 question is: Is it firm or nonfirm? Because
11 if it's firm power that the QF is going to
12 sell and it will allow the utility to defer
13 or avoid the cost of constructing a
14 generation plant, then that has to be
15 accounted for in the avoided cost
16 calculation, in addition to the avoided costs
17 associated with the energy.

18 So it's a completely different --
19 or it's a broader analysis if you're talking
20 about purchasing firm energy. The
21 Commission's reporting requirements in its
22 regulation requires the utility to provide
23 its plan for the addition of capacity and for
24 purchases of firm energy and capacity,
25 because you're talking about what the utility

1 can avoid, costs that it can avoid in the
2 future. That is all relevant if you have a
3 QF that's providing firm power.

4 If it's a QF that's providing
5 nonfirm power that you can't count on and you
6 can't plan your system regarding that, then
7 they're entitled to avoided energy costs, but
8 not avoided capacity costs. So it's an
9 important distinction, and deleting any
10 reference to firm or nonfirm creates more
11 areas for dispute than it solves.

12 Next, AEP requests a regulation
13 that would require all regulated electric
14 utilities to file all of its avoided cost
15 data, avoided cost estimates, all the
16 supporting data with the Commission once a
17 year. Already under Subsection
18 790(d) utilities are required to make their
19 estimated avoided cost data available for
20 public inspection. That allows a qualifying
21 facility, a potential qualifying facility to
22 get some idea about those costs.

23 When a utility makes that
24 information available, it doesn't have a
25 particular QF in mind. It's an estimate

1 based on certain assumptions. Before the
2 utility could enter into a long-term contract
3 with a large QF, it would have to model that
4 particular QF. So this data, these are not
5 avoided cost rates that the utilities make
6 available. They're estimated avoided costs
7 and capacity plans for five years and ten
8 years.

9 So utilities already have that
10 obligation, and unless and until there's a
11 dispute with a QF over the information that
12 they're being provided, there's absolutely no
13 need for you to be barraged with annual
14 filings of all of this data from every
15 regulated utility in Alaska. For the vast
16 majority of regulated utilities, they don't
17 have any QFs that are seeking to provide
18 service to them. Those that do, they don't
19 have any disputes with them about their
20 avoided cost data. So this is an overbroad
21 filing requirement that will unnecessarily
22 add significant cost and burden to utilities,
23 their customers, and this Commission.

24 Incidentally, regarding that
25 requirement, APA's reply comments at Exhibit

1 I shows a comparison between what FERC's
2 requirements are and what AEP has proposed.
3 That can be seen starting at page 7 of APA
4 Exhibit I.

5 ALJ ROYCE: I'm sorry, is it
6 Exhibit 1 or I? I'm sorry.

7 MR. THOMPSON: I'm sorry, it's
8 Exhibit 1. You're right.

9 ALJ ROYCE: Thank you.

10 MR. THOMPSON: On that page, that
11 shows a significant deviation and
12 modification from the FERC regulation. So if
13 you're going to adopt the FERC regulation
14 regarding data filings or data availability,
15 you should adopt the FERC regulation. The
16 parts that are excluded are things like the
17 applicability provision. FERC's regulations
18 apply differently to small utilities than
19 large utilities and in significant ways.

20 FERC's regulations also provide a
21 special rule for small electric utilities.
22 AEP simply deletes it. FERC's regulations
23 provide, at page 8 of Exhibit 1, a special
24 provision for substitution of an alternative
25 method for the cost information that's to be

1 provided. So apart from the unreasonableness
2 of requiring an annual filing with the
3 Commission, if what is actually filed and the
4 type of data that needs to be collected, if
5 we're going to go with FERC's method, we
6 should go with FERC's method.

7 APA believes that the RCA's
8 current data availability requirements are
9 sufficient and is not aware of any
10 significant disputes regarding that, other
11 than some isolated cases between AEP and one
12 utility and maybe another QF and another
13 utility. But that seems to be an
14 implementation or interpretation issue rather
15 than an inadequacy of the Commission's
16 current regulations.

17 Moving on to integration charge
18 regulations. APA didn't have a lot in
19 substance to say about this, and I won't add
20 that much to it. But there have been some
21 developments on this, and other APA members
22 will probably speak more directly to this.
23 But the regulations that AEP proposed at, I
24 guess it would be 770(d), APA doesn't have
25 any general objection to the extent that they

1 propose general rules that would require just
2 and reasonable treatment and
3 nondiscrimination and avoiding double
4 counting. All of that seems nonobjectionable
5 as far as it goes with a couple of caveats.

6 Provided that adoption of this
7 regulation would not preclude a utility from
8 addressing integration costs through the
9 avoided cost calculation instead of through
10 assessment of integration fees. That's an
11 important distinction, because there are
12 utilities in Alaska, and I would say most of
13 them would be my guess, would not calculate
14 an integration fee, a separate fee. Instead
15 that would be part of the comparative
16 analysis. What are our costs without the
17 purchase from a QF? What are our costs with
18 a purchase from a QF?

19 When you model that, you do the
20 system dispatch modeling, the case with the
21 purchases from the QF may include some
22 additional gas costs. It may -- a unit may
23 be running more often. You may have a
24 different spinning reserve obligation. All
25 of that gets factored into the comparative

1 dispatch analysis, and when you subtract the
2 two numbers, integration costs are
3 necessarily reflected in that avoided cost
4 calculation.

5 So these regulations should not
6 preclude a utility from being able to address
7 integration costs in that manner. But if we
8 don't have a dispute about that, APA does not
9 have any principal objection to the general
10 content of this regulation.

11 The one exception substantively
12 is Subsection (d)(5). In that section the
13 rule says: Integration fees shall not be
14 justified if they are the result in whole or
15 in part of outdated, inefficient, or
16 ineffective management or operational
17 practices by the electric utility that could
18 be remedied at a reasonable cost to the
19 utility.

20 That is the type -- that's a good
21 example. That's an adjudication issue.
22 That's not something that you can effectively
23 implement through a regulation. It addresses
24 issues of prudence. These are costs that the
25 utility is going to be incurring and

1 recovering to some extent through base rates.
2 It's not something that you can just say, oh,
3 integration fee; you have to come and prove
4 that that operation or management practice
5 was prudent in order for it to be includable
6 as an integration cost.

7 The idea behind it is fine. I
8 think we could agree that costs that are
9 proven to be imprudent shouldn't be recovered
10 in electric utility rates, and they shouldn't
11 be recovered in avoided cost calculations.
12 But to have it as a requirement of the
13 laundry list of costs that get included seems
14 to be problematic.

15 In addition, beyond the actual
16 proposed regulation, there was a proposal
17 from, I believe it was AIPPA and possibly
18 CIRI -- I don't recall if it was both of
19 them -- that there be a presumption that
20 integration costs are zero. I guess the idea
21 would be that until you come and prove the
22 justification for your integration fee under
23 this regulation, that you just assume that
24 it's zero. But if a utility accounts for
25 integration costs through its avoided cost

1 analysis, how do you implement that
2 presumption?

3 One way to do it is calculate
4 your costs without the QF purchase, calculate
5 your costs with the QF purchase, but
6 exclude -- go and figure out all of the costs
7 in your dispatch model that necessarily
8 increase with that change in load and exclude
9 those costs unless you can prove that they're
10 reasonable?

11 That presumption is unreasonable.
12 Certainly, the utility in the case or in
13 negotiations should have to justify its
14 assumptions that it's using in its dispatch
15 model. That's what the argument -- if there
16 is an argument, that's what it's going to
17 come down to, is in these dispatch models,
18 what did you assume -- how do you treat
19 hydro? How do you treat these different
20 units? What are the inputs? Obviously those
21 have to be justified, and they have to be
22 agreed on or adjudicated by you in a
23 contested case. But to simply have a
24 presumption that they're zero is a systematic
25 error that goes against the customers really.

1 If you make that presumption that
2 it's zero and you're wrong, that it's
3 positive, which likely it's going to be, it's
4 the customer that ends up paying a price
5 that's higher than avoided cost. This is an
6 example of something that, if this got
7 enacted, customers as a result of these
8 regulations could end up paying higher than
9 avoided cost implicitly because of something
10 like this. So APA opposes any type of
11 presumption that these costs are zero.

12 Finally, AEP cited an NREL study
13 that purportedly conclusively indicates that
14 fuel cost savings always outweigh cycling
15 costs when utilities are doing these
16 calculations. I won't spend much time on it,
17 but they didn't conclusively resolve that for
18 Alaskan utilities or any particular Alaskan
19 utility. The idea is that you have to do the
20 modeling to determine what those costs are.
21 You can't make any general statements that
22 integration costs are always zero or always
23 minimal or that utilities always exaggerate
24 them.

25 If you are really interested in

1 avoided costs and incremental costs, you have
2 to do the modeling and you have to get the
3 modeling inputs right, and you have to
4 resolve any disputes about the modeling
5 inputs. That will determine whether those
6 costs are positive or negative or what their
7 amount is.

8 Moving on to curtailment. The
9 Commission's regulation regarding this is at
10 770(b)(1), and it's almost -- almost
11 identical to the FERC's regulation, even more
12 concisely worded. But I think everyone
13 agrees that substantively the operational
14 circumstances exception in your regulations
15 is similar to FERC's.

16 In addition, what APA has cited,
17 but I don't see anyone addressing it, is that
18 the related section is 770(h). I read that
19 to you before, the last sentence of it is
20 what's relevant: That a contract between a
21 QF and a utility may not be nullified under
22 770(b)(1) without prior Commission approval.

23 So internally just your own
24 regulations contemplate that if a utility and
25 a QF enter into a long-term agreement where

1 the price is estimated at the time of the
2 agreement and estimated for the future, that
3 the operational circumstances exception,
4 (b)(1), can't nullify that pricing agreement
5 that was made between the utility and the QF.
6 It isn't as explicit as the FERC orders have
7 been implementing their own regulation, but
8 we do have this section.

9 As APA has argued, APA doesn't
10 have an issue with the general proposition
11 that the FERC's rule as explained by FERC and
12 as interpreted by extensive firm precedent
13 does not allow the utility to curtail for
14 economic reasons except under limited
15 circumstances when the QF provides power on
16 an as-available basis, not pursuant to a
17 contract, and when the price is determined at
18 the time of delivery for that as-available
19 basis sale.

20 So this doesn't seem to be much
21 of an issue except between AEP, and according
22 to AEP, Golden Valley. So the dire need for
23 clarity on this and to draft preamble
24 language that tries to summarize the latest
25 FERC precedent on this seems unnecessary.

1 It's another way that this case feels more
2 like an adjudication of a dispute or a
3 potential dispute rather than the need to
4 change these regulations after they've been
5 in place for 30 years. This issue of your
6 operational circumstances exception has not
7 come up, that I'm aware of, in any other
8 cases other than what AEP has referenced.

9 So the current language was based
10 on the language of the FERC regulation. It
11 is still entirely consistent with that
12 definition. There's extensive FERC precedent
13 that provides guidance on what FERC meant,
14 which also carries over to what your
15 regulation meant since yours was based on
16 FERC.

17 In addition to that, we have the
18 record in this docket. Regardless of what
19 you do with these regulations, I think a
20 utility would be hard pressed to come in and
21 argue that that operational circumstances
22 exception applies broadly to all
23 circumstances in light of all of this
24 contrary authority.

25 So it doesn't seem like this

1 scenario needs to be amended. If you really
2 want to amend it to try to capture the scope
3 of the FERC precedent that's interpreted the
4 regulation, we can do that and APA would be
5 happy to participate in coming up with the
6 language. The currently proposed language
7 APA doesn't think has gotten it right. It's
8 a good attempt, but we would want to be
9 more -- we would want to look at that more
10 closely if that's the way that the Commission
11 wants to go. But we believe that it's not
12 necessary.

13 By the way, I've got two more
14 issues. I will be wrapping it up pretty
15 quickly here.

16 That is an issue that if you want
17 FERC precedent captured in additional
18 language, that's the type of issue that would
19 be good for the workshop, which I'll talk
20 about -- technical workshop, which I'll talk
21 about later.

22 Our next issue is the independent
23 monitor and mediation requirement. APA, for
24 the reasons that are explained in its reply
25 comments, opposes this amendment for three

1 general reasons.

2 First, you already have an ADR
3 regulation, and it hasn't been in the
4 regulations for a very long time, but it has
5 been used. I think it has been used
6 effectively. The case isn't over yet, but I
7 note that it was used by HillCorp and several
8 other shippers in a matter even before any
9 tariff filing or complaint proceeding was
10 filed with the Commission. So far I've heard
11 that it is looking like it was a productive
12 use of time and resources.

13 So you already have an ADR
14 process, and it's available to QFs and
15 utilities that are dealing with QFs, so there
16 isn't need to craft a special new regulation
17 for independent monitor and mandatory
18 mediation that applies only to qualifying
19 facilities. Your current ADR regulations
20 will be helpful.

21 Secondly, AEP's regs are
22 compulsory. It's not ADR. It's not
23 voluntary. It's mediation that's nonbinding,
24 but the utility is required to participate,
25 and it's a long process. It could take

1 almost as long as the statutory timeline for
2 adjudicating a formal complaint.

3 So the utility would be compelled
4 to participate in this process with the
5 monitor and a recommendation would go to the
6 Commission. The Commission may ask more
7 questions. The monitor can seek discovery,
8 and then the Commission issues a
9 recommendation that neither the utility nor
10 the QF is obligated to abide by.

11 That seems overbearing and
12 unreasonable and not something that would
13 help the process. To pour salt into the
14 wound, AEP would then require the utility to
15 pay all of the costs of this independent
16 monitor, and the independent monitor's
17 obligations under this regulation are
18 significant. It's a big job, what that
19 monitor would be doing. They would
20 rightfully want to be paid for their time and
21 services, and the utility would be required
22 to bear all of the costs. The QFs would bear
23 none of those costs. The QF would only bear
24 its own costs.

25 So APA's main problem with this

1 is it imposes an unreasonable mandatory
2 burden on the utilities, but, secondly, it
3 creates a huge incentive for a QF to demand
4 this process every time. It doesn't cost
5 them anything, and you can immediately bring
6 in a monitor that the utility has to pay for
7 and if you like the result of it and the
8 utility ends up agreeing with it, great. If
9 you don't like the result of it as the QF,
10 you say no thanks; we're going to file a
11 formal complaint and do this differently. So
12 it creates a very one-sided, unfair burden
13 and a perverse incentive to seek this process
14 all the time.

15 Finally, the justification -- and
16 I think AEP is -- I don't mean to be
17 derisive. I think AEP is trying to get a
18 process that it thinks will improve its
19 circumstances that it has experienced. I
20 will say that for all of the regulated
21 utilities there are in Alaska and all of the
22 proposed QFs that have talked with utilities
23 to try to determine project feasibility, it's
24 very rare that you have complaints filed with
25 you in these matters, which is as it should

1 be. I mean, you're here to resolve
2 complaints about the scope and effect of
3 regulations. It doesn't happen really
4 frequently, but when it does, you issue your
5 decision and the parties can move on. If the
6 parties want to do that process faster and
7 cheaper, then they have the ADR option. But
8 this seems to be a solution in search of a
9 problem that APA believes that you should not
10 undertake.

11 Lastly, the issue of technical
12 workshops. I apologize that I, on behalf of
13 APA, may not have explained what APA was
14 proposing effectively, because I've heard
15 parties today interpret that as a delaying
16 tactic or that we would be proposing that
17 studies be done simply to delay your issuing
18 a decision and getting regulations in place.
19 I hope the Commission understands what APA
20 was suggesting.

21 APA has participated in technical
22 workshops in rulemaking dockets to come up
23 with regulatory changes that parties may need
24 and that can make sense in a way that allows
25 all of the parties to come to agreement on a

1 change. It's not a delay tactic; it's a
2 tactic that APA has found to be very
3 successful in getting parties with divergent
4 interests to find some common ground on some
5 issues.

6 I gave the one example that if
7 the Commission does want the preamble
8 language, it makes sense for the parties with
9 divergent interests to see if they can come
10 up to agreement on that. Commission staff
11 usually participates. APA's experience has
12 been that it's been very helpful to all
13 parties concerned. I would cite the
14 Commission's docket adopting net metering
15 regulations and net metering interconnection
16 requirements where there were technical
17 issues and different perspectives and
18 different goals the different stakeholders
19 were seeking. We were able to reach some
20 compromises that seemed to work.

21 So if no one wants to
22 participate, APA's feelings won't be hurt,
23 but we suggest it as a way to try to find
24 agreement on some of the issues in this case.
25 But if the Commission doesn't want to go down

1 that path, APA will participate in whatever
2 procedures the RCA does adopt.

3 I will say, though, that I was a
4 little taken aback by AEP's slide that says
5 you need to just get these regulations
6 passed. I think the slogan was regulate now,
7 implement later. I guess APA would caution
8 you that doing it that way may make for poor
9 implementation. If you don't get it right
10 when you're adopting the regulations, you
11 can't leave it to implementation to correct
12 any errors that were made in the regulation
13 itself. That's why the Administrative
14 Procedures Act, among other reasons, requires
15 all of the processes involved in these
16 rulemaking dockets.

17 So I understand the need for
18 speed on anything that anyone is requesting
19 of the Commission, but for the reasons that I
20 discussed earlier, mainly protecting the
21 customer from unintended rate and cost
22 increases associated with some of the
23 regulations that are being proposed, APA
24 thinks you should take your time and get it
25 right.

1 As I indicated at the beginning,
2 APA believes that the best decision overall,
3 all things considered in this case, is to not
4 adopt any changes to the current
5 QF regulations.

6 ALJ ROYCE: Thank you,
7 Mr. Thompson.

8 At this time we'll take a break.
9 We'll be back at 3:15. We'll see if the
10 Commissioners have questions for Mr. Thompson
11 or proceed to the presentations by GVEA and
12 ML&P. We're off record until 3:15.

13 (Off record.)

14 ALJ ROYCE: We're back on record
15 at approximately 20 after 3:00 for the
16 continuation of the public hearing.

17 Mr. Regan, are you ready to make
18 a presentation on behalf of ML&P?

19 MR. REGAN: I am, Your Honor.

20 ALJ ROYCE: Please identify
21 yourself for the -- go ahead.

22 MR. REGAN: My name is Bob Regan.
23 I'm speaking here for Municipal Light &
24 Power -- or Municipality of Anchorage d/b/a
25 Municipal Light & Power.

1 It's pretty clear to me that
2 there are broad areas of agreement between at
3 least ML&P and AEP about the meaning of
4 PURPA. In fact, I'm not sure that I can
5 think of any disagreement we have with them
6 about the meaning of the law. We do
7 disagree -- as explained in considerable
8 detail by Mr. Thompson, we do disagree about
9 implementation, but I wouldn't be surprised
10 if we and AEP were able to agree on
11 regulations if it were necessary for us to do
12 so.

13 In this testimony I want to
14 discuss only one thing, and it is -- it's the
15 assumption by AEP and other proponents of
16 QF power that incremental cost is always and
17 obviously higher than average production
18 cost. The fact is incremental cost can be
19 higher or lower than average production cost.
20 One of the characteristics of the utility
21 industry, in fact, is that it's a declining
22 cost industry in general, and declining cost
23 implies incremental cost, below average cost.
24 I'm not claiming that as a general rule for
25 avoided cost, but it's a distinct

1 possibility.

2 So, anyway, I want to just
3 describe in vastly oversimplified terms how
4 dispatch works and what the implications of
5 the workings of dispatch are for the
6 relationship between incremental cost and
7 average production cost. This is actually --
8 it's not a slide show. It's an active Excel
9 workbook, but we're going to go through it
10 pretty much as if it were a slide show. I'm
11 just going to go across the headings and talk
12 very briefly about each column.

13 ALJ ROYCE: Excuse me, Mr. Regan.

14 MR. REGAN: Yes.

15 ALJ ROYCE: Are these slides
16 available on any type of copies or PowerPoint
17 to distribute?

18 MR. REGAN: I have eight hard
19 copies of each one of the worksheets that I
20 expect to show. They're not labeled in any
21 way, but you're certainly welcome to them.

22 ALJ ROYCE: Would it be helpful
23 for the Commissioners to have a copy? I know
24 the court reporter would need a copy if you
25 can --

1 MR. REGAN: It's fine with me.

2 In that stack right there they are sorted by
3 the sheets, so you've got to give one of each
4 to each person. Yeah, I'm sorry.

5 ALJ ROYCE: Please continue.

6 MR. REGAN: Okay. Just going --
7 well, first of all, that little block to the
8 left with the word "gas" at the top of it,
9 that's a very small assumption block; that is
10 to say, it's assumed values for variables
11 that are used in calculation of the
12 quantities in those columns. I do not -- I
13 think you should ignore it. I mean,
14 understand that it's there. Understand that
15 the assumptions there are arbitrary and not
16 necessarily intended to reflect any actual
17 reality. They are somewhat close to the cost
18 that ML&P experiences, but certainly not
19 identical.

20 Looking at the title of this
21 table, it says "Unit 1 Costing." Unit 1 is
22 ML&P's oldest and smallest turbine. It never
23 runs, so the costs that are reflected on this
24 table are not relevant to any actual
25 calculation of avoided cost, but they do show

1 similar characteristics to the cost of most
2 of our turbine generators.

3 The purple column there that says
4 "Megawatt Hours Per Hour," you can think of
5 that as megawatts, but just as an aside,
6 dispatchers think in term of megawatt hours
7 per hour; they think in energy terms rather
8 than power terms. But for each individual
9 hour it results to the same thing either way.
10 So this just goes from zero to maximum output
11 for the turbine, and this turbine only goes
12 to 18 megawatts.

13 The next column to the right,
14 "MCF Per Hour," that's MCF of gas per hour to
15 produce whatever amount of energy per hour is
16 in the left-hand column. One thing I'll
17 point out about this is notice it's not zero
18 for zero megawatts. It's 84 MCF per hour for
19 zero megawatts. So there is a zero intercept
20 on the cost curve. That is typically called
21 the speed no load cost, which I'll show in
22 the next slide.

23 The next column over is "Dollars
24 Per Megawatt Hour." That is average cost.
25 That's the total cost of operating the

1 turbine at that level divided by the output.
2 The most important thing to notice there is
3 that it starts very high because of that
4 speed no load cost, and then it declines
5 continuously throughout the range of
6 operation.

7 The next column over,
8 "Incremental MCF Per Hour." Not much to say
9 about that except that the cost
10 characteristics of that is that the -- let me
11 say the incremental cost in mathematical
12 terms, it's the derivative of cost with
13 respect to output. In economic terms you'd
14 call that marginal cost if it were for an
15 arbitrarily small increment of output. We
16 use the discrete term incremental cost
17 because it isn't necessarily an arbitrarily
18 small change in output.

19 The important characteristic here
20 is that it starts quite low compared to the
21 average cost of production. At 1 megawatt
22 the average cost is 365 -- well, let me say
23 the average cost in MCF is 91, whereas the
24 incremental cost is only 7.27.

25 Moving on, the column that's

1 called "Lambda Gas." Lambda there, again,
2 you can think in terms of DYDX. It's the
3 derivative of the cost curve, and it shows
4 the same characteristic as the incremental
5 MCF for megawatt hour -- or per hour.

6 "Gas Cost" is Column D, I think,
7 multiplied by gas price. "Total Cost" is gas
8 cost plus the variable O&M cost, which we
9 assume there is \$2.26 per megawatt hour.

10 The last column, "Total Cost Per
11 Megawatt Hour, Gas," that's basically the gas
12 cost per megawatt hour plus the variable O&M
13 charge. The value at the top -- it's in red.
14 How do I describe that? That number would be
15 undefined at zero output. This was
16 calculated at 0.3 megawatts or 0.3 megawatt
17 hours per hour. Really the only reason I put
18 it in there is to make a picture that will
19 show up later a little more interesting to
20 look at.

21 We could go to the next -- let me
22 stop and just say, if anybody has any
23 questions, it's probably best if you
24 interrupt me and ask them as I go. Let's go
25 to the next sheet.

1 This is a speed no load chart.
2 All it does is show you in dollars using that
3 \$4 per MCF assumed cost of price of natural
4 gas. This is what it costs to run a turbine
5 synchronized to the grid at no load. So to
6 produce zero energy, but to be available to
7 produce energy. Unit 1 that we were just
8 talking about costs, you know, what, \$330 per
9 hour to run at zero output. Our biggest
10 unit, Unit 7 and combined cycle, that's
11 really the Unit 7/Unit 6 combination, costs
12 almost \$1,000 -- \$900 per hour just to run at
13 zero output. It's important because it
14 explains the reason that incremental --
15 incremental costs can be below average cost.

16 I guess we'll go to the next
17 slide. Okay.

18 This is just a picture of what I
19 showed you before. The blue line is the
20 total cost per hour to run the turbine at
21 outputs as displayed on the X axis. So it
22 starts at intercept at just above \$300 an
23 hour. Let's call it \$300 an hour at almost
24 zero load and goes to a maximum of just over
25 \$1100 an hour, producing the most power that

1 that turbine is capable of producing.

2 The red line is the cost per
3 megawatt hour. The most interesting thing
4 about that cost is that it starts very high
5 and declines throughout the range of
6 operation.

7 Now, something that I am going to
8 ignore in my discussion, but you'll probably
9 hear about from Golden Valley, is that nobody
10 actually operates turbines at very low load.
11 Every turbine has some load below which its
12 owner will not operate it. I won't say any
13 more about that, but I'm thinking that Mike
14 will say some things about that.

15 The black line is the incremental
16 cost at each output level for that turbine.
17 So it starts at -- I don't know -- a low
18 number that I couldn't even estimate looking
19 at that scale and gradually increases until
20 it basically equals the average cost per
21 megawatt hour at maximum output. That's a
22 typical pattern for turbines. They don't all
23 have an identical pattern to that, but you
24 can think of that as probably the norm.

25 Next sheet. So this is just a

1 top of my head list of real-world constraints
2 that I will not be considering as I talk to
3 you, but you will hear more about probably
4 from Golden Valley.

5 So the first one of those
6 constraints, minimum output, all I'm telling
7 you is that there is some minimum output for
8 each turbine. I don't know what it is, but I
9 do know that dispatchers do come up against
10 those constraints from time to time. Right
11 now ML&P and I think the other Bradley Lake
12 owners -- I'm sorry -- purchasers are doing
13 everything they can to draw down Bradley
14 Lake. Most of them are running into minimum
15 output constraints on the thermal generation
16 that they cannot avoid running. So that's a
17 real issue.

18 That second issue, that second
19 constraint I have there, startup time, all I
20 mean by that is that it takes a significant
21 amount of time to start a gas turbine. If
22 you ever fly in turboprop airplanes, for
23 instance, you'll see that it takes them, you
24 know, a real finite amount of time to get
25 those turbines spun up. These industrial

1 turbines take much longer in general than
2 those aircraft engines, although the
3 aero-derivative engines that have become
4 popular just very recently do start a lot
5 more quickly than the industrial turbines
6 we're more used to.

7 But the reason that that's there
8 is that if we are talking about nonfirm
9 power, utilities don't just sit there with a
10 dispatcher with a bunch of turbines on the
11 shelf deciding which is the next turbine to
12 deploy as loads or as net loads go up and
13 down. That dispatcher has to have everything
14 he's going to use, let's say, during the next
15 hour. He's got to have it running well
16 before he needs it.

17 So if your load goes up a little,
18 and in theory you could start a turbine that
19 had lower total cost for the load you need
20 out of it, but that turbine's not running,
21 too bad. You're not going to start it.

22 Go down to the third real-world
23 constraint, start cost. That's one of the
24 reasons you're not going to start that
25 turbine, other than the fact that it takes

1 time to get it started. You burnt some fuel
2 starting that turbine and not producing
3 energy. That startup cost also varies
4 depending on the turbine. I think the
5 aero-derivatives have almost negligible
6 startup costs, at least in gas terms. The
7 frame turbines definitely do not. You know,
8 their startup costs could equal -- I think it
9 could easily equal a half-an-hour worth of
10 speed no load cost. So you could spend in
11 some cases \$1,000 just to get a turbine
12 started.

13 So you don't -- you know, you try
14 to minimize turbine starts; I guess that's
15 all I'm saying. You don't figure you're
16 going to start it up six times a day. You
17 try to start a turbine once, run it for as
18 long as you're going to need it, shut it
19 down. Maybe you would start a turbine twice
20 in a day, but you might not be too happy
21 about that.

22 No. 4, minimum downtime. This is
23 something I don't know much about, but once
24 you shut a turbine down, you can't
25 immediately restart it. You've got to wait

1 for it to cool down. I don't really know how
2 long minimum downtime is for various
3 turbines. This is something you might hear
4 about from Golden Valley. It's a significant
5 amount of time. Once you shut down a
6 turbine, I don't think you expect to use it
7 again at least for an hour.

8 Finally, ramp rate. That's just
9 the speed with which a turbine can change its
10 output. The reason that's important is that
11 some turbines are not very useful for
12 following variations in load. They just
13 can't respond fast enough. Other -- so you
14 might well be using a turbine that's either
15 more expensive or less expensive than your
16 average to follow load or to follow net load
17 just because the lowest cost turbine or the
18 highest incremental cost turbine won't do the
19 job.

20 One final remark about
21 complications. The incremental or
22 decremental costs, I'll just call it marginal
23 cost now, although that's not strictly a
24 correct term because it's continuous, whereas
25 incremental and decremental is discrete. But

1 marginal cost is not a constant with respect
2 to either output level or the change in
3 output. I think you will hear some about
4 that from Golden Valley too.

5 In what I'm going to talk to you
6 about everything is with respect to a change
7 of 1 megawatt in output. Clearly, Golden
8 Valley has to consider dealing with changes
9 as great as 25 megawatts, and that's a
10 different issue than 1 megawatt by a large
11 amount.

12 Okay. Actually, now that I think
13 of it, go one more. Okay.

14 This is a table, and it's much
15 wider than the screen, so Anna's going to
16 have to scroll through it from left to right.
17 So go all the way left now. This is a table
18 of a dispatch that ML&P actually experienced
19 in one day in 2012, and that I think was a
20 Sunday, January 1st. At the end of the day
21 it turned out that the various units produced
22 the power that's shown there in the hour
23 shown. So the column on the left is the hour
24 of the day. So that 1 stands for 0100 on
25 that Sunday morning. U-1 stands for Unit 1,

1 the unit we were just talking about. The
2 numbers in that column below the unit number
3 are megawatt hours per hour. You could think
4 of that as megawatts that the unit actually
5 produced.

6 So what you see here is that Unit
7 1 didn't run that day and, in fact, probably
8 didn't run at all that year. Unit 2 didn't
9 run that day, and also probably didn't run at
10 all that year. Unit 3, which is a simple
11 cycle aero-derivative turbine, it's the
12 newest turbine that ML&P owns 100 percent of,
13 was used basically to cycle for a block
14 representing peak load. But note that for
15 some reason or other they block loaded it
16 rather than following load with it. In hour
17 whatever that is, 0900, they started the unit
18 and they ran it at maximum capacity until
19 hour 2300 when they dropped off to
20 26 megawatts and then they shut it down.

21 I'll back up just a little bit
22 and describe the dollars per megawatt hour
23 column for each one of those units. That is
24 the average production cost per megawatt hour
25 for that unit. Since Unit 3 here was running

1 at essentially full load every hour, that
2 average production cost was very close to
3 being a constant.

4 The columns that are labeled
5 "Delta Over Delta" are the columns for that
6 unit for the price you could -- well,
7 actually it's for the extra cost to increase
8 output by 1 megawatt. Although in this case
9 that unit was probably running at maximum --
10 well, I think it could maybe put out more
11 than 29 megawatts, but I'm not sure. But
12 it's probably that was just maximum output.
13 So you could think of that \$36.66 as what you
14 could save for a decrement of 1 megawatt in
15 that hour at that load.

16 So moving to the right, Unit 4
17 didn't run at all that day. Not too
18 surprising. It's one of our older turbines.

19 Scroll so that we can -- yeah,
20 stop there. Unit 5 didn't run at all that
21 day. The Unit 5/6 combination, that is to
22 say, it's a combined cycle combination. It's
23 Unit 5 providing heat to steam turbine Unit 6
24 ran at its maximum output all day; therefore,
25 had basically a constant cost per megawatt

1 hour and a constant decremental cost, the
2 decremental cost in that case being \$38.21.

3 Unit 7 didn't run at all in
4 simple cycle that day. The Unit 7/6
5 combination ran all day at a fairly high
6 load. That's not its peak load, but it's
7 fairly high on its output scale, and at a
8 constant enough load so that you don't really
9 see any variation to speak of on its cost per
10 megawatt hour, and you don't see anything to
11 speak of variation in its decremental --
12 well, in this case it's really the
13 incremental cost. It stays pretty constant
14 at about \$35.60.

15 Okay. Let's scroll to the right
16 probably to be able to see the rest of it.

17 So Unit 8 didn't run at all.
18 That's typical. Unit 8 is a big simple cycle
19 turbine, and it costs quite a bit to run.

20 Now we get to Eklutna. That is a
21 hydroelectric project, and we run into our
22 first conceptual problem. What is the value
23 of hydro power? If you're calculating
24 average cost -- average actual accounting
25 cost, I guess the value is zero. I'm willing

1 to admit to you that we don't think of the
2 value of hydro power as being zero. That
3 value is an opportunity cost. It is the
4 value of the most expensive other power that
5 you think you would be able to displace with
6 that hydro output if you saved it for use
7 later.

8 What that value is going to be
9 depends on a whole lot of things. It
10 depends, for instance, whether you expect the
11 project to spill during the period before you
12 would get to use it for something high value.
13 Now, a spill for a hydroelectric project just
14 means instead of running water through the
15 generator or through the turbine, you run it
16 over the spillway. It wastes the water from
17 a utility's point of view. It can be
18 affected by other constraints too. I'm just
19 saying it's a complicated problem trying to
20 forecast what that opportunity cost of water
21 is.

22 In this case I made the
23 completely arbitrary decision that it's worth
24 \$21.98 per megawatt hour. In a real avoided
25 cost determination, I guarantee there would

1 be argument between the utility and the
2 QF over the assignment of value to hydro
3 power. I don't represent that this roughly
4 \$22 a megawatt hour is the right number. I
5 just threw it in there because it makes the
6 pictures possible.

7 I can say that it's pretty much
8 certain not to be above \$45 an hour -- a
9 megawatt hour for us. It can be as low as
10 zero. It changes not necessarily all the
11 time, but it does change.

12 Next column -- oh, and the other
13 thing I'll say is note that on Eklutna the
14 outputs are changing every hour. The reason
15 for that is that Eklutna is what we used that
16 day to follow our variation in load, and that
17 was not based on any conventional
18 understanding of the incremental cost per
19 megawatt hour. It's based instead on the
20 fact that hydroelectric power works very well
21 over a very broad range of outputs and is
22 therefore convenient to follow load with.

23 Now, there's a value to that, and
24 I don't know how to quantify that value for
25 you, so I'll leave that at that.

1 We did not use Bradley at all
2 that day. I'm going to assume that the
3 reason for that is that Bradley must not have
4 been available to us that day. I think
5 almost certainly we use Bradley at least to
6 some degree on any day that it's available to
7 us. That's partly because, like Eklutna,
8 it's pretty handy for following load with,
9 and like Eklutna it has the potential to
10 spill and you don't want it to spill because
11 that's just throwing dollars over the
12 spillway. So I'm guessing Bradley was not
13 available that day.

14 Moving to the right, then, we
15 come to a column that says "Dollars Per Hour
16 System." That is the total cost of operating
17 the system to produce power in that hour.
18 I'll just remark that it's assuming that your
19 hydro power is worth about \$22 a megawatt
20 hour, which easily could be the wrong
21 assumption.

22 The next column over, the delta
23 over delta column. That is the delta over
24 delta for the highest incremental cost
25 turbine that was available to us to back down

1 during that hour. So if you took that \$38.21
2 and you looked at all the columns to the
3 left, you'd find one associated with some
4 turbine. Probably I'm guessing it would be
5 the 7/6 combination. Why don't you scroll
6 left and see that. So 7/6 -- it's not 7/6.
7 Yeah, it's 5/6. So that's the turbine that,
8 according to that conventional understanding
9 of incremental cost, determined the
10 incremental cost for that hour.

11 Moving to Column AL, "System
12 Megawatt Hours," and that's per hour. That's
13 just the system output during each of those
14 hours. So it varies from, I guess, about 143
15 up to 186, which is typical for ML&P in the
16 winter.

17 The column next to it, that's our
18 average production cost per megawatt hour in
19 that hour.

20 Finally, we have another column
21 labeled "Delta Over Delta Actual." I will
22 tell you how that's calculated, and then I'll
23 admit it's not really an actual delta over
24 delta either. We can discuss that in a
25 second. But all I did there is for each hour

1 I calculated the amount by which output
2 changed from the hour before to that hour,
3 used that as the denominator, calculated the
4 change in cost per hour, used that as the
5 numerator, and divided one by the other. The
6 reason that that's not really a delta over
7 delta with respect to output is that there
8 are so many other large variables that drive
9 those changes in cost that are not change in
10 output.

11 Now we can go to the next -- go
12 back one to the chart dispatch January 1. If
13 you look over towards -- okay. Let me just
14 say the red line -- the columns are megawatt
15 hours of dispatch, and the different colors
16 are just which unit was producing the power.
17 I didn't make any effort to be consistent
18 about what color is what unit, and I don't
19 think you need to worry about that.

20 The lines are some representation
21 of unit cost. The red line is the average
22 cost per megawatt hour during that hour. The
23 blue line is the delta over delta for
24 whichever unit had the highest delta over
25 delta in that hour. It is, in fact, very

1 slightly above the average cost line. So if
2 you take that blue line as the representation
3 of incremental cost, then it is in fact very
4 slightly above average cost. The thing I
5 would want you to keep in mind, though, is
6 that's a really small difference and it
7 doesn't have to be in that direction,
8 although for our system in 2012 it apparently
9 was usually in that direction.

10 The black line that goes all over
11 the map is that last line that I described to
12 you, which was changing cost divided by
13 changing output from one hour to the next
14 hour. One of the interesting things to
15 notice is if you look at hour No. 22, you
16 have an extreme dip. If you were to look
17 back at the dispatch curve, you'd see that
18 there wasn't really a very big change in cost
19 that hour. The reason it looks so extreme is
20 that there's almost no change in output in
21 that hour, but we made some change in
22 dispatch. I don't -- I can't identify it
23 right now. But that -- so that's a place
24 where that estimation of incremental cost
25 using that method really shows effects that

1 are not incremental cost with respect to
2 output.

3 I don't think there's anything
4 else that I need to show you. Anna, what
5 we'd like to do now is just look at each of
6 those chart dispatch -- those dispatch
7 charts. Yeah, that one.

8 This is the same thing for the
9 next day. I apologize that the colors are
10 not necessarily consistent. Part of the
11 issue, if you were to look at the legend,
12 you'd see that there were actually different
13 units dispatched on that day, which would
14 complicate the issue of trying to maintain
15 color consistency. Again, we see another one
16 of those extreme dips not associated with any
17 large changing output.

18 In that one we can clearly see
19 that the dispatch change that's related to
20 that is we started -- let's see. What did we
21 do? We started Unit 4, and right off the top
22 of my head I can't tell you why that would --
23 oh, and what's the blue one? The blue one is
24 Unit 3, and I don't -- oh, okay. This is
25 really paradoxical, and I guess it is worth

1 you knowing about.

2 In this case we made a change in
3 dispatch that clearly reduced our overall
4 cost. We shut down Unit 4, which is a
5 relatively -- I'm sorry. We started Unit 4,
6 which is a -- so we increased cost. We
7 started Unit 4, which is a relatively
8 high-cost unit and we shut down Unit 3, which
9 is a relatively low-cost unit of roughly the
10 same size.

11 The reason that it shows that big
12 dip in incremental cost is that that increase
13 in total cost was associated with a small
14 decrease in total output. So it produced
15 really a counterintuitive and really spurious
16 result. The only reason that I call
17 attention to it is to show you how difficult
18 it really is to develop an algorithm that
19 would reliably produce an incremental cost.
20 I'm not going to say it can't be done. We
21 can come up with various algorithms to do it.
22 The real trick is to get our counter parties,
23 in this case AEP, to agree with us about the
24 modeling we did.

25 I mean, I guess what I'm arguing

1 here is that when we say the modeling is
2 difficult, we're not really saying we can't
3 do the modeling. What we're saying is we
4 can't necessarily persuade the other side
5 that we did it right.

6 I think I -- I guess that's all I
7 really wanted to say. So I'm proud of myself
8 for keeping it short.

9 Are there any questions?

10 ALJ ROYCE: Thank you, Mr. Regan.
11 Are there any questions by Commissioners?

12 COMMISSIONER PATCH: No
13 questions.

14 ALJ ROYCE: Okay. Thank you,
15 Mr. Regan. You are excused.

16 We'll next hear from Mr. Wright
17 and GVEA.

18 MR. WRIGHT: Good afternoon. My
19 name is Mike Wright.

20 ALJ ROYCE: Hold on a second.
21 Make sure your microphone is on.

22 MR. WRIGHT: My name is Mike
23 Wright with Golden Valley Electric. I'm the
24 vice president of transmission and
25 distribution.

1 ALJ ROYCE: Excuse me. We can
2 hear conversations, whoever is listening on
3 the phone. We can still hear you.

4 MR. WRIGHT: All right. So now
5 we can get started. So I want to start off,
6 and I'll go really quick through this part so
7 we can get to --

8 ALJ ROYCE: Excuse me,
9 Mr. Wright. I think we have some IT people
10 here if we want to -- what he's trying to do
11 is maximize the screen.

12 MR. WRIGHT: Thank you. So I'm
13 just going to start quickly and go through
14 this part quick and get to the meat of it.

15 But Golden Valley does have a
16 commitment to qualifying facilities, and we
17 have had that for quite a number of years
18 from Bradley Lake to the board's renewable
19 energy pledge to our SNAP and SNAP Plus --
20 homeowners put renewable energy into the
21 system -- our experimental renewable resource
22 purchase program that we have, and then our
23 own Eva Creek wind project.

24 SNAP and SNAP Plus, SNAP Plus is
25 essentially net metering, but there's also --

1 we allow members to pay in and contribute to
2 that. It gives more incentive to the
3 homeowner type renewable generator, and then
4 we also have -- and there's 42 of them on the
5 system, 36 Snaps at this time, which are
6 generation only.

7 Essentially, we use the
8 regulations that they're asking us to revise
9 to set up guidelines and reasonable
10 nondiscriminatory charges, rates, terms, and
11 conditions for interconnection. Those came
12 right out of the regulations, and we think
13 that they don't need to be changed. They're
14 especially appropriate for the smaller
15 generator.

16 One of the points I wanted to
17 bring up, and if you remember when we dealt
18 with net metering, we set a limit on 1.5
19 percent of demand for penetration for net
20 metering. The reason we did that is we are
21 charging no special costs to the net meterer
22 until such time as it could cause an impact
23 to our system. At that point you would look
24 and see if net metering is causing an impact,
25 and that would be because the variable may

1 potentially have solar cells or small wind
2 projects, but then you would evaluate it at
3 that level. So I just want to make that --
4 raise that point.

5 Then we have our experimental
6 renewable resource purchase program. We
7 actually have two people on that. We have --
8 AEP has a 2 megawatt wind farm down in Delta
9 that's participating in this, and Bernie Karl
10 has Chena Power that's right in town that's a
11 waste burner that's participating. It has a
12 2 megawatt limit. You're interconnected at
13 the distribution level, so it's not a large
14 megawatt scale that would connect to our
15 transmission level.

16 As the title points out, it's
17 experimental. It allows Golden Valley to
18 evaluate and analyze how these types of --
19 this size of project affects our system. The
20 key I want to make here is the fourth point,
21 is GVEA is absorbing the integration costs at
22 this time. If you go to our QF rate in
23 tariff sheet -- and I happen to have it with
24 me, so if you want to, it's sheet No. 120 in
25 our tariff. There is a line on it where we

1 will go less integration cost including
2 voltage regulation. Right now we charge zero
3 for that, but that's because we carry a
4 certain small amount of regulation at any
5 moment for our system. Right now we only
6 have the 2 megawatt and Chena Power is about
7 at most 500 KW, if they ever get it up and
8 running and they're having issues and they're
9 working their way through it, but it hasn't
10 fully established itself. But there could
11 get to a point where it would be significant
12 enough that we would have to factor in
13 integration costs, but at this time we charge
14 nothing for that.

15 Once again, we established a set
16 power sales agreement that established
17 guidelines at the reasonable
18 nondiscriminatory charges and stuff based on
19 the small generator regulation. So that's
20 what we went in there and we have that in our
21 tariff also. It truly streamlines the
22 application process. It streamlines the
23 interconnection process. Once again, we are
24 absorbing the integration costs; Golden
25 Valley absorbs at this time.

1 Then greater than 2 megawatts.

2 The project we have right now on our system
3 is Eva Creek wind project. One of the points
4 somebody brought up earlier that I'd like to
5 correct is with Eva Creek on our system and
6 Bradley Lake, that's 20 percent of Golden
7 Valley's nameplate capacity at peak demand.
8 It's about 13 percent of our total energy.
9 In the summer during our valley conditions in
10 the summer, Eva Creek is actually 25 percent
11 penetration. So with Eva Creek and Bradley
12 on the summer, which would be late evening
13 with Fort Knox off line, which happens from
14 time to time, it could be up around --
15 40 percent of our generation could be
16 renewable at a particular moment, but
17 certainly up to 25 percent with Eva Creek.

18 So we do have a significant
19 penetration of renewable energy and wind
20 energy on our system right now. They made it
21 seem like it was a small number. It's
22 actually a large number for a system that is
23 not interconnected with the grid. Like in
24 the Lower 48 you have many, many balancing
25 agencies, a total interconnected grid. We're

1 kind of like an island. The only people -- I
2 would say utilities that experience the same
3 issues we have would be like Kodiak with its
4 wind or Maui Electric. But we are not
5 interconnected with the grid, so we have
6 significant issues that are -- they're the
7 same issues, but they're more significant
8 with us because they're so small -- because
9 we're so small.

10 The reason I wanted to bring up
11 here -- and there's a lot more to the
12 evaluation. We evaluated two other projects
13 when we looked at doing our own Eva Creek
14 project. We did quite a few years of study
15 and I gave presentations on that before, but
16 one was CIRI's Fire Island project, which
17 actually came in at a fairly competitive
18 price. The challenge with them was is
19 they're so far from our system, we had
20 wheeling over a long distance and the losses
21 put them above our Eva Creek price. Then we
22 did have -- Delta wind gave us a price
23 locally, but their price was significantly
24 higher than what we could have done for
25 ourselves.

1 I just have a couple of the items
2 in here to look at, but we looked at
3 wheeling. We gave credit for losses. If you
4 look at Delta wind farm, they're on our
5 system and some of their power, it would
6 reduce the amount of power that went to
7 Delta. We gave them a credit on our
8 evaluation, our final evaluation. They got
9 some credit for that, where Fire Island had
10 losses and we evaluated it at Eva Creek.
11 That was the point we evaluated it, so there
12 was no losses with Eva Creek.

13 The regulation price we have on
14 here, you can see we charged ourself a
15 regulation price and essentially that's an
16 integration cost. We charged ourself that.
17 Fire Island's is a little higher. That was
18 based on some of the issues that were going
19 on in Chugach now, but even if it was -- we
20 just would have put it at our same price with
21 the wheeling and the losses to bring the
22 power up to our system, that's what really
23 priced them out of the range of our own Eva
24 Creek project.

25 I did get a number. I didn't

1 write it down. I got it yesterday. I asked
2 what our 2013 first year full operation, and
3 it actually is right at about 9.53 cents. So
4 it's actually a little bit less than when we
5 did our evaluation on our project in about
6 the 2011 time frame. But we looked at it.
7 We evaluated it. It was just like we would
8 do any project and we didn't -- there's no
9 discrimination or anything in here. We
10 looked at everything equally, an apples to
11 apples evaluation at that time.

12 So now we've dealt with -- we've
13 actually dealt with two PURPA QFs and both
14 wind projects since that time. One didn't
15 bear fruit and didn't even go anywhere. It
16 was AT&T looking to put a 50 megawatt system
17 somewhere down south of Delta. They started
18 working with us and we did some studies on
19 that, but then they dropped it because it
20 wasn't panning out for them.

21 But there are the four issues
22 that we are looking at right now that have
23 been raised by AEP in this public hearing:
24 Avoided cost, integration cost, curtailment,
25 and interconnection costs. I'm going to go

1 through those. But first I want to make sure
2 we're all on the same page, and I think we
3 are relatively on the same page from the
4 discussions today, so I won't spend too long
5 on interconnection, integration, regulation,
6 and curtailment.

7 But interconnection, it's simply
8 the cost of connecting a QF to our system.
9 The regulation already says a utility may
10 assess qualifying facility interconnection
11 charges. In general, QFs greater than
12 2 megawatts would have to be connected to
13 Golden Valley's transmission system. So that
14 would require transmission line and either
15 the addition of a transmission substation or
16 expansion of a transmission substation.
17 Those are fairly significant costs. In this
18 case we shared that estimate with the parties
19 that were dealing with us. We would share
20 that. We've done several of these. They're
21 not discriminating.

22 We did the same charges to Pogo
23 Mine when they tapped into the transmission,
24 when Fort Knox built their system. We have a
25 thing on the street right now with Clear Air

1 Force Station. If they move forward, they'll
2 have to pay the interconnection cost the same
3 as a large megawatt scale wind project or a
4 coal plant or anybody who would attach to our
5 transmission system.

6 So it's -- we have good
7 experience with that and have done about
8 seven of them over the last ten years of
9 these substation expansions and
10 interconnection with our transmission
11 facilities. So it will be easy to show our
12 estimates. It really comes down to the
13 actual cost, final cost. If our estimate is
14 a little high, if it comes in less, they get
15 charged the lesser price. So it is
16 nondiscriminatory.

17 Regulation. I have to admit, I
18 have learned a lot over the last years on
19 this, our experience with Eva Creek and just
20 wanting to come down here and make a
21 presentation. Regulation is -- and sometimes
22 regulation and integration gets intermingled,
23 and it's not the same thing. I learned that
24 myself, and it took me a while to figure it
25 out totally.

1 But regulation is providing the
2 continuing balancing of resources, basically
3 generation and load, and it's a capacity
4 cost. It's a cost per KW, not an energy
5 charge. Unless you had to add generation in
6 order to integrate the wind, there's normally
7 not much of a regulation charge that's
8 charged to adding a wind project or a
9 QF project to your system. But if it was, it
10 would be a capacity cost, not a per kilowatt
11 hour cost. That's not regulation.

12 Integration costs, however, is
13 simply the cost impact of a nonfirm resource
14 through its variability and uncertainty. I
15 got this right out of the NREL report that I
16 could dig up and get the information, but I
17 took it out of there as I'm learning about
18 this. Basically the cost due to decrease due
19 to deficiency, due to more frequently ramping
20 and operating at a less efficient point on
21 its heat rate curve. There's also costs due
22 to increased wear and tear due to the cycling
23 on the system.

24 The energy cost, it is an energy
25 cost, and it's in dollars per kilowatt hour.

1 That is the cost that you would decrement
2 more than likely. You know, there could be
3 an increment, but a decrement or increment to
4 your avoided cost.

5 Curtailement. That's simply
6 reducing the wind production when the
7 production exceeds the system's capacity to
8 safely absorb the power while maintaining
9 adequate reserves and dynamic control of the
10 system. So there's just sometimes when you
11 cannot as a utility absorb the wind and keep
12 your system -- hold the system together or
13 have the reserves you need to operate your
14 system adequately and safely.

15 So what we believe is that the
16 regulations are essentially the same as the
17 FERC regulations, and they don't need to be
18 changed. There's two approaches to
19 curtailment. If power is on an as-available
20 basis with price determined at time of
21 delivery, then curtailment would be possible
22 if purchasing the power would result in
23 greater cost. Essentially what that comes
24 down to, and I've heard the argument today --
25 and, like I say, I'm always learning.

1 If it came to the point that it
2 was costing us money, then the actual
3 incremental cost of that wind would be
4 negative, and the QF would want to come off
5 line. So whether we curtailed them or not,
6 they would be losing money if they stayed on
7 line, because the only way it would be
8 raising our cost is if the incremental cost
9 was basically going to a negative value right
10 then. It could be that the price would just
11 be so low they wouldn't want to operate.
12 That would be their choice, but if it was
13 going to cost us money, that would be a
14 negative incremental cost. I have to think
15 about that more, but it shouldn't be that it
16 costs our members money to take power on an
17 as-available basis.

18 If the power sale is by a
19 long-term contract that's a predetermined
20 price, then the utility may be responsible to
21 pay for curtailment. When I say "may,"
22 there's a slide later on that I'll show why
23 I'm saying that. The real answer is we -- by
24 the FERC requirements we would, but when you
25 see the slide I have later, there could be a

1 financial -- the value of the wind could be
2 such that the QF is making more money by
3 allowing us to curtail and keeping the value
4 of that wind resource greater. They'd
5 actually get more money by allowing us to
6 curtail when it would cause a negative effect
7 on the system. If we're forced to take all
8 the wind and pay for all the wind that that
9 resource could generate, then it will lower
10 the value of that wind and they could end up
11 with a less value. It would -- the
12 incremental cost would be less, and they may
13 not make as much money.

14 So it could behoove them in their
15 negotiation to say we're willing to do X
16 amount of curtailment, and then after that,
17 you have to pay for any additional. Once
18 again, that can be negotiated and you go and
19 see how that cost varied the price we're
20 willing to offer on the long-term contract.

21 So we're in agreement with what
22 everybody has presented. I don't want to
23 take this venue to talk about our
24 negotiations. This isn't about our
25 negotiations with AEP last summer, but they

1 did bring up that we made an offer that
2 diverted from this and that -- from our
3 perspective at Golden Valley, that is not
4 accurate. With we first discussed with
5 them -- and I want to leave it at that --
6 there were two paths we could go down. They
7 did make time of the essence; it was
8 important to them we said. We recognize we
9 have to take your power right now on an as-is
10 basis, and we are making -- but they still
11 wanted a long-term agreement. There was no
12 price in this agreement. It was an agreement
13 to take it at our QF rate, whatever that
14 would be, and that's basically an as-is
15 basis, so we put in an integration cost. You
16 had the available power cost, and then we
17 just put in the right to curtail if it was
18 going to cost us money to take their power.
19 So essentially it was a long-term agreement,
20 but it was on an as-is, as-available basis
21 for power. It was not a negotiated price.

22 We recognize -- and then we were
23 going to negotiate the other side of the
24 equation, which was to negotiate a long-term
25 agreement. The negotiations broke down. We

1 didn't go any further. But in the long-term
2 agreement, that would have not been part of
3 the agreement would be a curtailment, unless
4 it was agreed to that it was financially
5 beneficial to both sides to go ahead and do
6 the curtailment through operating
7 efficiencies and making that wind more
8 valuable.

9 Just to show you -- and this is
10 just a snapshot of our SCADA system. In the
11 red block down here you can see -- I mean,
12 the gray block with the red and the green.
13 The green's our wind speed. The red's our
14 power output. At that particular moment on
15 our system we had to curtail our wind, and we
16 curtailed it at 18 -- up there it says power
17 curtail, 18 megawatts. So at this particular
18 moment, even though we could have put out
19 24 megawatts, we had to limit Eva Creek to
20 18 megawatts.

21 If we had 50 megawatts, so if
22 there was a second wind farm producing or if
23 our own wind farm was at 50, we would still
24 have had to curtail it to 18 megawatts.
25 Curtailment is a real issue on a small system

1 such as ours to make sure it stays reliable
2 and we don't have issues at any moment.
3 There's been times we've had Eva Creek
4 curtailed to 10 megawatts and lower numbers,
5 but this is just a snapshot at one particular
6 moment. So curtailment is real. We have to
7 curtail our own system.

8 So we'll go into the real cost of
9 integrating nonfirm power here. So avoided
10 cost and integration costs. Those are the
11 two components. One of the presenters today
12 mentioned, and that's how we would approach
13 it also. If we approached a long-term
14 contract, you would calculate in the
15 integration cost to the price you would offer
16 them, and it would be an incremental cost
17 that included the cost of integration.

18 You would have -- and I just
19 learned this through our discussion today.
20 It became kind of like an epiphany. You have
21 an integration cost as a separate cost if you
22 have a standard offer. Your standard offer
23 already sets a price, but as you add more and
24 more wind, and if you've dealt with the Idaho
25 case or many other things, the more wind you

1 add to a system, your integration costs rise
2 exponentially. They're not linear. So the
3 more you add, the more it goes up.

4 So you have to have the
5 ability -- and then if you have a long-term
6 contract with person No. A -- entity No. A
7 and you've already settled in that -- and I'm
8 making these -- 7 cents a kilowatt hour and 1
9 cent integration, you can't go back to that
10 25-year contract. Now you've added another
11 wind farm and your cost of integrating wind
12 goes up to one-and-a-half cents, you can't go
13 back and go, I need to raise your rate to
14 one-and-a-half cents. You need to charge
15 this group that's the new group the full cost
16 of their incremental cost of the rise in cost
17 of integrating that new increment of wind.
18 So you might have a standard offer, but their
19 cost of integration is a little bit more,
20 which would decrement their total price.

21 So I see that. So what our two
22 approaches would be, an entity could purchase
23 our power at our QF 2 rate on an as-available
24 basis, and our QF tariff would be the avoided
25 cost, but what makes it incremental is the

1 integration costs. I do go less integration
2 cost. If the integration costs were such
3 that it was -- saved us money, then that
4 would be an adder to it on an incremental
5 basis. So if the value of the wind was such
6 that it saved us money, then we could
7 actually add a little bit of money to it, and
8 that's how it would go if you were doing it
9 on an incremental basis. Or you would do a
10 purchase of the QF by special contract, which
11 is already allowed under the existing
12 regulations. That would be a long-term
13 contract.

14 We would calculate our
15 integration costs into the purchase price,
16 and it would be based on avoided cost
17 methodology and actually be an incremental
18 price, not an average production cost. It
19 would turn out to be an incremental cost.

20 So I'm just using a quick
21 example. It's one of the reasons why I think
22 workshops would be valuable, or potentially
23 valuable. I'm just saying the method I'm
24 going to go through here is just for one
25 hour. To really come up with your cost

1 you're going to offer, you do that for a
2 whole year of production modeling.
3 Parameters would have to be agreed to, and
4 we'd have to go through and show how this
5 works so other entities would understand.

6 This is -- and accept that from a
7 utility's perspective, this is how we have to
8 dispatch our system. It's not always the
9 most expensive power that is cut out of the
10 system. So when our incremental -- and how
11 to develop our incremental cost.

12 I wish I had brought a pointer
13 with me. We're basically get 64 megawatts,
14 which is in the bottom, from Anchorage. The
15 green block on Healy over there in the lower
16 left-hand corner, we're doing -- 26 megawatts
17 being generated at Healy. Eva Creek is
18 putting out 20 megawatts. It's actually
19 curtailed at this moment. It wasn't the same
20 picture from the last one, but we had to
21 curtail that at the moment.

22 One of the key things is -- oh,
23 it's cut off a little bit on this slide. I
24 don't know why. Oh, no, it is. You can see
25 it down at the bottom. The chair is in the

1 way for me.

2 North Pole -- NPC is North Pole
3 combined cycle. It is down at 32 megawatts
4 or a hair over that; 32 megawatts is the
5 lowest that unit can go in combined cycle.
6 It gets a little bit lower than that, then we
7 have to go to simple cycle. That's a key
8 issue, because when it goes to simple cycle,
9 we have to shut up the back end, the heat and
10 recovery steam generator. The heat and
11 recovery steam generator is free energy. You
12 get rid of that, now you've taken that unit
13 and greatly increased -- its efficiency goes
14 way down the tube, so its cost per megawatt
15 hour goes up.

16 So for this example -- and the
17 total load in here -- oh, I'm sorry. We are
18 getting power from an IPP, Aurora Energy,
19 another 28, 27 megawatts from Aurora Energy.

20 So this is a little bit more
21 simpler from what Bob presented here, but
22 this is our power plants that we have
23 dispatching right now. The red circle just
24 shows that Eva Creek is on, and it can go
25 from zero to 25 megawatts. So while that

1 plant can go from zero to 25 megawatts,
2 Golden Valley has to have the availability to
3 regulate 25 megawatts of variability in the
4 system. So we have to have that room
5 available.

6 We have 41 megawatts available at
7 this moment. So right now we have, just like
8 we had on the previous slide, 20 megawatts at
9 Eva Creek, 32 coming from North Pole combined
10 cycle, 50 from the intertie, including 14
11 from Bradley Lake, which also comes up the
12 intertie. That makes 64 megawatts up the
13 tie. Healy putting out 26, and then Aurora
14 Energy putting out 25 megawatts.

15 With their cost of their power so
16 right now at this moment, it's \$86 a megawatt
17 hour. That's the cost right at this moment
18 for 167 megawatts of generation on Golden
19 Valley's system.

20 So what I'm going to do is I'm
21 throwing in a nonfirm QF. We'll just make it
22 another wind project at 25 megawatts, and I
23 pick \$125 a megawatt hour just because that's
24 a number that we've received from an entity
25 in the past. So I put a red block around two

1 of our generations. For Healy 1, we had to
2 back that down from 26 megawatts to
3 23 megawatts. That's reducing our \$50 a
4 megawatt hour power. So we had to back that
5 down. You'll see why, because we only can
6 put out 167 megawatts.

7 Our North Pole combined cycle can
8 no longer operate in combined cycle because
9 it's less than 32 megawatts. So we had to go
10 to simple cycle, and it's down to 10. The
11 reason it's down at 10, it can't go below 10
12 which is why we had to back Healy down an
13 additional 3 megawatts because North Pole
14 can -- its minimum operating is at
15 10 megawatts of production. So we had to
16 back Healy down to make room, to have the
17 regulating room and to only put out 167. We
18 can't be generating 170 megawatts with only
19 167 megawatts of load.

20 Now, we had other options and
21 that's why it becomes a very deep
22 (indiscernible) process. I didn't do all
23 these, I'll say. But Zehnder, we could have
24 put on a Zehnder unit instead of putting
25 on -- making some variations. But Zehnders

1 in the 3, 4, \$500 range, depending where it
2 is on its heat -- its curve. So Healy -- or
3 North Pole 1 or 2, but they're more
4 expensive. So you would look at all the
5 options and then you would dispatch the
6 cheapest power.

7 What you can see at this
8 scenario, by taking wind at \$125 a megawatt
9 hour at this scenario, which was this -- was
10 a December load, a little lower than normal,
11 but still 167 megawatts, which was right
12 around our average for a year. Our average
13 demand for a year is 160 average. It raised
14 the cost of power to 91 from -- what was it.
15 From 86 to 91, so that was a \$5 increase,
16 instantaneous cost. So our incremental cost
17 went up, so the value would be essentially
18 decremental in this condition.

19 But this isn't how you would go
20 and calculate the value of the wind and what
21 you would pay for the wind. I just wanted to
22 show that adding the wind at a certain price
23 doesn't necessarily lower your cost of power.

24 Well, one thing -- I wanted to go
25 into this. There may be questions of why do

1 you need 50 megawatts of available spin to
2 regulate the wind? You could use less, and
3 maybe you want to be in a risk and you could
4 do without. There's a lot of things that you
5 might do and could be learned over time. But
6 on our system right now there's a possibility
7 that you -- you have to be ready. If the
8 wind goes away, whether the wind drops off or
9 if it's over speed, you lose a line, there's
10 a lot of things that could cause you to lose
11 that generation. Wind is just nonfirm
12 energy.

13 So what I wanted to show is this
14 is a graph we put together for November. The
15 green power -- I snipped it, so it's not so
16 clear. We could do it better if you need it.
17 But green is Eva Creek. Red is the output of
18 AEP's 2 megawatt wind farm in Delta
19 multiplied by 12. Now, it looks a little
20 jagged. In truth, it would be a little bit
21 flatter. Like the blue line would be
22 flatter, because some of the data we get from
23 when you're pulling off the SCADA system, its
24 timing could make it jump up and down a
25 little bit when it's really more flat.

1 But you can see that it is --
2 because -- and I'm not a meteorologist, but
3 it must because it's in the Alaska Range.
4 What we're experiencing at Eva Creek is what
5 they're experiencing at Delta wind farm.
6 There's a lot of coincidence in those two
7 generations. You can see there's times we're
8 getting up and we would have been
9 50 megawatts of total generation quite often
10 during the month of November. Then you can
11 see that that 50 megawatts of generation goes
12 away, maybe not moment to moment, but on a
13 regular time to time, and it's variable in
14 nature that you could have it.

15 So it is additive. It doesn't --
16 there's some places in there you can see it
17 ameliorates it a little, but it is additive.
18 It is not like Delta blows or -- and we don't
19 have one with Fire Island, but it could be
20 that Fire Island and us may be opposed and
21 not additive, but in the case of wind at
22 Delta -- and this is the only example we have
23 of that, because there happened to be a good
24 wind farm down there right now, a 2 megawatt
25 wind farm, but that's why you have to have

1 50 megawatts of regulated room. It's pretty
2 crystal clear on this diagram.

3 So what you would do, however, as
4 you were coming up with the value that you
5 would offer in a long-term contract, is you'd
6 come up with the incremental cost of power.
7 The way we model it, and I believe it's
8 appropriate, is we take the nonfirm QF, which
9 is on the first line now, and you put it in
10 at zero. You're charging nothing for it.
11 You see how much that actually saves you.

12 So in this case if you put
13 that -- and this is just the same thing from
14 the last slide. We put -- instead of \$125,
15 we put it in at zero. Now our instantaneous
16 cost drops down to \$73 per megawatt hour. So
17 our cost without wind -- without the
18 additional wind -- it has Golden Valley's Eva
19 Creek at 20. It was 86. With the full
20 output of a nonfirm QF putting out
21 25 megawatts of wind, it goes to 73 megawatt.
22 That's \$13 per megawatt hour that we're
23 saving. So that hour was 167 megawatts, so
24 that \$13 times 167 megawatts meant that we
25 saved 2171 that particular hour.

1 What you would do for a whole
2 year is you would take the data that's
3 provided from your -- whoever is -- the
4 entity that's approaching you for sales.
5 They would provide their wind data, and that
6 would be what they say their output was and
7 what their megawatt hours were. You factor
8 that into this. You don't just make up these
9 outputs; they provide it to you. Then you do
10 that for 8760 hours a year, find out what
11 your total savings were, and divide that into
12 your total production. That would tell you
13 the value of the wind. The value of the wind
14 at this moment is \$86.84. If I had this as a
15 spreadsheet, if I put 86.84 up there for
16 their value, it would bring you back to that
17 \$86 a megawatt hour. So right now the
18 incremental value to pay for wind for no --
19 for neutral to our ratepayers would be
20 \$86.84. That's what we do for a whole year.

21 We actually did this with --
22 proposed with a wind project. With a
23 five-year average, what it came in over five
24 years is a value of wind over five years
25 based on information they provided us was if

1 wind was firm, even if wind was firm -- and,
2 remember, this is on top of our Eva Creek
3 energy. We already have Eva Creek on our
4 system, and as you put more wind, the cost
5 integrated becomes exponentially greater, was
6 at \$76 for an average five-year average.

7 If we didn't have to -- if we
8 said we're not regulated, we're just going to
9 take their wind and we don't have to have the
10 regulation to back it up, it could get up to
11 \$86. But you can see we also curtailed
12 15 percent. Almost 16 percent of that power
13 was curtailed at that value. So that's what
14 we paid for the wind that was provided. The
15 five-year average, if we had to provide full
16 regulation, which is the case, would only be
17 \$64 a megawatt hour for a five-year -- and
18 that's based on this scenario and these
19 assumptions, which could change now that it
20 looks like we'd have to factor in the
21 potential of LNG lowering the price of our
22 power at our North Pole units and a lot of
23 things like that. But we'd have to look at
24 that.

25 But what I brought up earlier is

1 that -- and I didn't calculate this out, but
2 that's \$64 a megawatt hour with 15 percent
3 curtailment. If we were not allowed to
4 curtail and we had to pay for the wind we had
5 to curtail, the five-year average would
6 probably be -- well, it would be 15 percent
7 less. We'd have to drop that to \$60 or \$58,
8 and it could be more because if we have to
9 take the wind, it could change the cost
10 matrix of our incremental costs. So we'd
11 have to do a run and say we can't curtail
12 wind, so what's the incremental cost when
13 we're actually -- there's probably sometimes
14 that there's negative costs. Instead of
15 going zero, it's causing us a negative cost
16 to integrate it into the system. So that's
17 what we -- our approach would be, and we'd do
18 that over five years.

19 Now, you'd actually do it over 20
20 years. I just brought -- there's actually
21 more to this, but I just -- for today, I just
22 brought out the five-year average to show
23 that number when we calculated this out. But
24 you would do it for 20 or 25 years. So there
25 would be no integration costs in this, in

1 that your offer would just be \$64 or 86 or
2 76. You would offer that one price for the
3 length of the contract. There wouldn't be a
4 separate integration cost component. It's
5 built into the offer.

6 So I'm basically finished. I
7 just want to go over some of the key points.

8 Golden Valley agrees with APA
9 that there's no need to change the current
10 regulations. Avoided cost definition does
11 have the but for and the but for means
12 incremental analysis. That's how Golden
13 Valley was approaching it when we dealt with
14 the couple people we've dealt with, a couple
15 entities for the power. So it's okay from
16 our perspective if you want to add
17 incremental just like it's in the FERC,
18 because it still means the same thing.
19 Incremental but for, and it's the price that
20 you would do if you didn't buy the power from
21 the QF. What would the cost be at that
22 moment? So it's the same thing. So we're
23 fine with that.

24 An important point. Incremental
25 analysis, as Bob showed this also, but we

1 showed it in ours, will result in reduction
2 of both high-cost and low-cost generation.
3 It's not just high cost -- the highest cost
4 generation, so it should not be presumed to
5 be only the highest cost generation will be
6 reduced. So we totally disagree with that
7 change to the regulation.

8 The current regulations work well
9 for small power producers, and it includes
10 the ability to do special contracts for the
11 larger producers. So our point, it's working
12 well for our SNAP members. It's working well
13 for some of the small -- we have a couple
14 small cogens I did. Like the food bank has a
15 cogen for heat and producing electricity, and
16 they sell some to us. We have a couple small
17 people like that. It's working well in their
18 case.

19 It's really like -- I hadn't
20 thought of it before, but like APA, it's a
21 standard offer. It closely approximates it,
22 and Golden Valley absorbs the integration
23 costs right now for those small levels. We
24 call it lost in the noise, but we have a
25 certain amount of regulation we always carry

1 anyways. Why charge these small power
2 producers. It is an incentive.

3 Integration charges. Those are
4 just simply the difference between the cost
5 of power with and without the nonfirm
6 resource. There shouldn't be any exclusions.
7 It should just be the just and reasonable
8 integration costs, the things that you have
9 to do different, the change of wear and tear.
10 I'm not saying that cost is higher or lower
11 than fuel costs, but it's the fuel costs.
12 It's the wear and tear. If there is a slight
13 cost to regulation included in it -- and
14 there could be some savings like we did when
15 we evaluated the projects up front. If it's
16 the savings in losses, you give that
17 particular entity -- based on the location of
18 the system, there might be some loss savings,
19 so you would include that.

20 From our perspective, curtailment
21 will be -- is appropriate. If you're taking
22 power on an as-is, as-available basis and if
23 it would raise the cost of power and -- like
24 I said, I believe in those cases it would
25 also be a negative. But like I say, I have

1 to calculate it out a little more from what
2 people have shared today. I've learned a
3 little bit on that, but it shouldn't -- the
4 whole bottom line is it shouldn't raise the
5 rates to our members.

6 Curtailment would be factored
7 into the purchase price for a long-term
8 contract and based on that negotiation, you
9 could pay for what you curtail, but that
10 lowers the overall value of the product, or
11 you could agree to a certain amount of
12 curtailment because it raises the value.
13 Once again, I'm not selling wind, but the
14 factor that a wind power producer could go
15 is, okay, my guess is they won't have to
16 curtail as much as they would. So I'll take
17 the higher price with that certain amount of
18 curtailment, and they could make money. But
19 no matter what, they're going to be held
20 whole, because essentially if we pay for the
21 curtailed power, it lowers the overall value
22 and we would drop the price. Once again,
23 that's negotiation. So who knows how the
24 negotiation would go. But from my
25 perspective, from Golden Valley's

1 perspective, that's how we see it working
2 out.

3 Golden Valley opposes the
4 independent monitor mediation. Dean
5 mentioned it with APA. There's already an
6 alternate dispute resolution process, so
7 there's enough in there. It would raise
8 costs and just put another thing that would
9 have to be absorbed. Somebody would have to
10 pay for the mediation, whether we shared the
11 cost or it all went to the utility, and those
12 costs would be passed on to our ratepayers.
13 There's no real reason to have it since
14 there's already a process in place.

15 The key point I wanted to finish
16 with is cost of power is a pass-through.
17 We're a co-op. We're not for profit. What
18 our cost of power is, it's passed through to
19 our members. As a manager, and I believe I
20 am an efficient manager and our power supply
21 manager and stuff, we're always trying to
22 reduce our cost of power. So when you're
23 dealing with a PURPA QF -- and they stated it
24 themselves and FERC states it. This should
25 be rate neutral to our members.

1 So Golden Valley is willing to
2 pay power from any QF that comes on our
3 system, but only at a rate that's rate
4 neutral or reduces our cost of power. That's
5 what our goal is as good stewards to our
6 members and managers. I think that's a key
7 point that everybody agrees on. As you can
8 see from our cost methodology that was
9 incremental in nature, it comes up with what
10 that value is.

11 I believe it's time for questions
12 and answers.

13 ALJ ROYCE: Thank you,
14 Mr. Wright.

15 Are there any Commissioner
16 questions?

17 Hearing none, the hearing will be
18 continued on Tuesday, February 4th at
19 10:00 a.m. It's our understanding several
20 other -- there will be several other
21 presentations at that time, and then Alaska
22 Environmental Power will also have an
23 opportunity to reply to the comments today.
24 So the hearing will be continued.

25 We're off record at 20 to 5:00.

1 Thank you.

2 (Off record - 4:40 p.m.)

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

TRANSCRIBER'S CERTIFICATE

I, Leslie J. Knisley, hereby certify that
the foregoing pages numbered 2 through 247 are a
true, accurate, and complete transcript of the
Public Hearing of the Regulatory Commission of
Alaska held on January 29, 2014, transcribed by
me from a copy of the electronic sound recording
to the best of my knowledge and ability.

Date

Leslie J. Knisley, Transcriber